

DARLINGTON NEW NUCLEAR POWER PLANT PROJECT

JOINT REVIEW PANEL

PROJET DE NOUVELLE CENTRALE NUCLÉAIRE DE DARLINGTON

LA COMMISSION D'EXAMEN CONJOINT

HEARING HELD AT

Hope Fellowship Church
Assembly Hall
1685 Bloor Street
Courtice, ON, L1E 2N1

Tuesday, April 5, 2011

**Volume 14
REVISED**

JOINT REVIEW PANEL

Mr. Alan Graham
Ms. Jocelyne Beaudet
Mr. Ken Pereira

Panel Co-Managers

Ms. Debra Myles
Ms. Kelly McGee

Transcription Services By:

International Reporting Inc.
41-5450 Canotek Road
Ottawa, Ontario
K1J 9G2
www.irri.net
1-800-899-0006

(ii)
ERRATA

Transcript :

Page 90, line 10

7 This is confirmed by J. Robert Janes,
8 author of *Geology and the New Global Tectonic* who
9 noted that these shale formations can
10 increase.

Should have read:

7 This is confirmed by J. Robert Janes,
8 author of *Geology and the New Global Tectonic* who
9 noted that these shale formations can
10 creep.

Page 146, line 24

24 effluence that would go into the sewer system.

Should have read:

24 effluents that would go into the sewer system.

Page 147, lines 2 and 8

1 I believe you're asking if we will discharge
2 radioactive effluence to the sewage
3 system?
4 MEMBER BEAUDET: Yes, that's
5 correct.
6 MS. SWAMI: The process that we have for
7 new nuclear is that we would treat our
8 effluence before release to Lake Ontario through
9 our condenser cooling water system.

Should have read:

1 I believe you're asking if we will discharge
2 radioactive effluents to the sewage
3 system?
4 MEMBER BEAUDET: Yes, that's
5 correct.
6 MS. SWAMI: The process that we have for
7 new nuclear is that we would treat our
8 effluents before release to Lake Ontario through
9 our condenser cooling water system.

Page 221, line 25

23 I would like to point out that the
24 consultant for OPG has actually used a fair bit of
25 state of the art models for the fast-fill model
1 that is away from the diffuser and from the mixing
2 joint.

Should have read:

23 I would like to point out that the
24 consultant for OPG has actually used a fair bit of
25 state of the art models for the far-field model
1 that is away from the diffuser and from the mixing
2 joint.

Page 222

1 that is away from the diffuser and from the mixing
2 joint.

3 In fact, that's not the major
4 issue here. The question that scares me is the
5 resolution. The resolution of -- the smallest
6 resolution is around 90 metres in the model.

7 Most of these models predict
8 controversial (ph) kind of output. So what the
9 predictions are a little bit controversial (ph).
10 So that's already been calculated in this.

11 With higher resolution, obviously,
12 we would expect our model to perform well mainly
13 because in any of this lake or river or any of the
14 surface waters, we do know that the models
15 represent some processes quite well, and those are
16 the processes that in a great sense gives us a
17 reasonable confidence.

18 And in this diffuser and in that
19 type of situation, we do need much finer resolution
20 than what it is right now.

21 Another reason for that is the
22 diffuser, a surface model with a more jet type of
23 model, jet long type of model, which is -- which
24 gives conservative estimates but it was
25 incorporated in the largest scale model.

Should have read:

Page 222

1 that is away from the diffuser and from the mixing
2 zone.

3 In fact, that's not the major
4 issue here. The question that exists is the
5 resolution. The resolution of -- the smallest
6 resolution is around 90 metres in the model.

7 Most of these models predict
8 conservative kind of output. So what the
9 predictions are, are a little bit conservative.
10 So that's already been calculated in this.
11 With higher resolution, obviously,
12 we would expect the model to perform well mainly
13 because in any of this lake or river or any of the
14 surface waters, we do know that the models
15 represent some processes quite well, and those are
16 the processes that in a (inaudible) sense gives us
17 a reasonable confidence.
18 And in this diffuser/intake type of
19 situations, we do need much finer resolution
20 than what it is right now.
21 Another reason for that is the
22 diffuser itself is modeled with a model, jet plume
23 type of model, which gives conservative estimates
24 but it was incorporated in the larger scale model.

Page 223

8 And some of the uncertainties that
9 can be really taken care of probably like metal
10 reinforcing. If it closed by (inaudible) you
11 already are provided a reasonable and logical
12 forcing.
13 And then if the model can take
14 care of the ice conditions, then that's another
15 thing that you have already taken care of.
16 So these are some of the things
17 that we registered but by incorporating those, we
18 would have slightly or much better predictions than
19 what we have right now.
20 I hope -- did I answer the
21 question or?
22 MR. LEONARDELI: Sandro
23 Leonardeli, for the record.
24 Thank you, Ram. If there's a
25 follow-up for Ram? No. Okay.

Should have read:

Page 223

7 And some of the uncertainties that
8 can be really taken care of probably like
9 meteorological forcing- if it is close by then. If
10 it closed by then you already have provided a
11 reasonable and meteorological forcing.
12 And then if the model can take
13 care of the ice conditions, then that's another
14 thing that you have already taken care of.
15 So these are some of the things

16 that we suggested that by incorporating those, we
17 would have slightly or much better predictions than
18 what we have right now.
19 I hope -- did I answer the
20 question or?
21 MR. LEONARDELI: Sandro
22 Leonardeli, for the record.
23 Thank you, Ram. If there's a
24 follow-up for Ram? No. Okay.

Page 227

17 There is an assumption that a whole
18 road needs to exist.

Should have read:

17 There is an assumption that a Holt
18 Road needs to exist.

TABLE OF CONTENTS / TABLE DES MATIÈRES

	PAGE
Opening remarks	1
Undertaking Status	3
Presentation by Ms. Pingle	8
Questions by the panel	15
Presentation by Mr. Falconer	22
Questions by the panel	32
Presentation by Ms. Hall	42
Presentation by Ms. Yeremian	48
Questions by the panel	66
Presentation by Ms. Jane	83
Questions by the panel	96
Presentation by Ms. Knight and Mr. Bennett	107
Questions by the panel	127
Presentation by Ms. Buck	133
Questions by the panel	141
Presentation by Mr. Done	151
Questions by the panel	157
Questions by the panel to Environment Canada and Fisheries and Oceans	171
Questions by the public to Environment Canada and Fisheries and Oceans	246
Presentation by Ms. Chung	261
Questions by the panel	269
Questions by the public	279

1 Courtice, Ontario

2

3 --- Upon commencing at 9:01 a.m. /

4 L'audience débute à 9h01

5 --- OPENING REMARKS:

6 MS. MCGEE: Good morning. Mon nom
7 est Kelly McGee.

8 Welcome to day 14 of the public
9 hearing of the Joint Review Panel for the
10 Darlington New Nuclear Power Plant Project.

11 Je suis la co-gestionnaire de la
12 Commission d'examen conjoint du Projet de nouvelle
13 centrale nucléaire de Darlington.

14 Secretariat staff is available at
15 the back of the room. Please speak with Julie
16 Bouchard if you are scheduled to make a
17 presentation at this session, if you are a
18 registered intervenor and want the permission of
19 the chair to ask a question, or if you were not
20 previously registered and would now like an
21 opportunity to speak.

22 Any request to address the panel
23 must be discussed with panel Secretariat staff
24 first. Opportunities for either questions or a
25 brief statement at the end of a session will be

1 provided, time permitting.

2 We have simultaneous translation.
3 The headsets are available at the back of the room.
4 English is on channel 1. La version française est
5 au poste 2.

6 A written transcript of these
7 proceedings will reflect the language of the
8 presenter. Please identify yourself each time you
9 speak in order for the transcripts to be as
10 accurate as possible.

11 Written transcripts are stored on
12 the Canadian Environmental Assessment Agency
13 website for this project. The live webcast can be
14 accessed through a link on the Canadian Nuclear
15 Safety Commission site and archived webcasts and
16 audio files are also available on this site.

17 As a courtesy to others in the
18 room, please silence your cell phones and any other
19 electronic devices.

20 One final notice: at a previous
21 JRP session last week, we announced preliminary
22 matters concerning the opportunity to make final
23 written comments.

24 The full details of the procedures
25 and requirements for final written comments will be

1 posted on the Canadian Environmental Assessment
2 Agency website later today.

3 Thank you.

4 CHAIRPERSON GRAHAM: Thank you
5 very much, Kelly, and good morning everyone.

6 Welcome to everyone joining us
7 through here in person, through the live audio link
8 or on the internet.

9 My name is Alan Graham and I am
10 the Chairman of the Joint Review Panel. The other
11 panel members with me here today are Madam Jocelyne
12 Beaudet on my right and Mr. Ken Pereira on my left.

13 The next bit of the agenda that we
14 will go through, I will ask Mr. Saumure to review
15 the undertakings that were due today.

16 Just for information, we have had
17 67 undertakings so far of which a lot of them have
18 been addressed. And the ones that are due today
19 are -- will be addressed by Mr. Saumure, our legal
20 counsel.

21 Denis?

22 --- UNDERTAKING STATUS:

23 MR. SAUMURE: Thank you, Mr.
24 Chairman.

25 I would just like to start with

1 Undertaking number 15, which was assigned to OPG
2 and it was to provide visual impact assessment of
3 hybrid or mechanical draft cooling towers with
4 plume abatement.

5 This undertaking was due to be
6 completed by April 6th. We have received the
7 documents so the undertaking has been completed and
8 the documents will be posted as soon as possible on
9 the registry.

10 With regard to Undertaking 38 and
11 39, they were assigned to Greenpeace. They were to
12 be completed April 4th.

13 The Secretariat has received two
14 documents and are following up with Mr. Stensil for
15 the other two documents. The two Gibson reports
16 will be posted on the registry as soon as possible.

17 Undertaking number 46 assigned to
18 Sharon Howarth to provide references for
19 information pertaining to provincial energy
20 policies. It was due April 4th. The Secretariat is
21 following up on this undertaking.

22 I will now turn to Undertaking
23 number 50 and number 55 which were assigned to OPG.
24 The first one is to provide an explanation on how
25 action levels and reporting levels are related to

1 limits and standards. The second undertaking,
2 number 55, is to provide information on the success
3 rates for certification training programs.

4 CHAIRPERSON GRAHAM: OPG, I
5 believe you want to respond to those this morning;
6 so please proceed.

7 MS. SWAMI: Laurie Swami.

8 We calculate -- in response to the
9 question, we calculate a derived release limit
10 based on the thousand microsieverts per year public
11 dose limit.

12 We then calculate action levels
13 that are based on 2 microsieverts per week for air
14 and 8 microsieverts per month for water. Those
15 action levels, if they were exceeded, we would
16 report to the CNSC.

17 We also calculate and -- what we
18 call an investigation limit, an internal
19 investigation limit, and this is based on a review
20 of the radioactive releases over a period of time
21 and we look for a high end of a normal release rate
22 to set that limit and we use that to investigate
23 internally if there is any issues with our
24 environmental monitoring program or with an
25 increase in a release, and we investigate those and

1 we report those internally.

2 CHAIRPERSON GRAHAM: Thank you
3 very much.

4 Mr. Saumure? I'm sorry, that's
5 just the first one. Okay. Now, the second one.

6 MS. SWAMI: The second undertaking
7 was with respect to authorized staff training
8 programs.

9 A few days ago, I described the
10 certification process that our staff goes through
11 and just to refresh that, it is an intensive multi-
12 year program that OPG selects candidates to enter
13 into the program.

14 It is -- the selection of the
15 candidates, as I mentioned is very thorough, but it
16 also requires approval of the senior management at
17 the site before candidates are fully put through
18 that program.

19 And the question specifically was
20 with respect to the completion rate and the success
21 rate of that program. At Darlington, approximately
22 70 percent of those who are first admitted to the
23 program are certified.

24 And I will just mention that
25 personnel who may have difficulty with the material

1 or the program can self-select to withdraw from the
2 certification process. And as a result, not all
3 that go through the program actually go into the
4 final testing program.

5 And those that do go through the
6 certification exam process, our historical or our
7 example of 2009, the Darlington pass rate was 93
8 percent for that program.

9 Once certified, the staff then
10 return regularly to classroom and simulator
11 training and they go through a formal re-
12 qualification every five years. And 97 percent of
13 the certified staff are successful on re-
14 qualification.

15 CHAIRPERSON GRAHAM: Thank you
16 very much, Ms. Swami.

17 Mr. Saumure?

18 MR. SAUMURE: Thank you, Mr.
19 Chairman.

20 I'm now turning to Undertaking
21 number 59 which was assigned to CNSC and it is to
22 provide information in co-ordination with Health
23 Canada and the Public Health Agency on cancer
24 incidence, causes in Canada and cross-reference to
25 areas with nuclear activities.

1 CHAIRPERSON GRAHAM: Mr. Howden?

2 MR. HOWDEN: Thank you, Barclay
3 Howden speaking.

4 For number 59, we're continuing to
5 work with Health Canada on that one and we won't be
6 ready today, but it will be ready for Thursday,
7 April the 7th.

8 I'd also like to comment that one
9 of our other undertakings, number 51, which didn't
10 have a date, number 51, the comparison of the
11 standards, will be ready on April 7th as well.

12 CHAIRPERSON GRAHAM: Thank you
13 very much.

14 Mr. Saumure?

15 MR. SAUMURE: Thank you, Mr.
16 Chairman.

17 That completes the list of the
18 undertakings for today.

19 CHAIRPERSON GRAHAM: Thank you
20 very much.

21 Now we'll move into the first
22 scheduled presentation of today, which is by Ms.
23 Pat Pingle, and it's PMD 11-P1.24. Ms. Pingle, the
24 floor is yours and welcome.

25 --- PRESENTATION BY MS. PINGLE:

1 MS. PINGLE: Thank you. To the
2 distinguished Joint Review Panel, ladies and
3 gentlemen, thank you for the opportunity to speak
4 in support of the Darlington new build.

5 My family --

6 CHAIRPERSON GRAHAM: Ms. Pingle,
7 if you could just move a little closer to the mike
8 so they can pick it up, please.

9 MS. PINGLE: Okay. Thank you.

10 My family have resided in
11 Clarington for many generations. I am a retired
12 nurse, past electric hydro commissioner, ward
13 councillor and a member of the OPG Site Committee.

14 As a member of the Site Committee
15 I sit with neighbours, representatives of
16 Darlington Park, teachers, municipal and OPG staff.
17 At this Committee, we tour new facilities and are
18 kept updated on environmental issues; participate
19 in workshops such as the Darlington refurbishment.

20 We were active participants in the
21 environmental studies for this project and have had
22 input on all aspects of the environment. Other
23 large corporations have used this model to
24 establish their own committees to enhance public
25 awareness and trust.

1 Safety -- safety is a priority at
2 OPG. Open communications to the community have
3 established trust and confidence. Appreciation and
4 recognition is shown to the staff for being safety
5 aware.

6 Security. The site is well-
7 protected with trained personnel at all times.
8 Fire prevention is part of the on-site operations.

9 The fire department equipment here
10 is state of the art.

11 OPG works in partnership with the
12 Clarington Fire Department. They train their staff
13 together. OPG has a special apparatus that
14 smothers fires with foam. This is available for
15 Clarington Fire Department. If there was a fire on
16 the 401, we could use this equipment. This is a
17 great cost saving for the taxpayers.

18 OPG has a training area for
19 firefighters -- their firefighters and
20 Clarington's. This is situated in Wesleyville
21 which is just down the road here. I have never
22 been there. However, I understand it is a model of
23 the OPG site in Clarington.

24 Clarington consists of many levels
25 of municipalities inside it and they have it there

1 when the fire chief goes down and they'll have like
2 an actual little fire happen in Darlington and OPG
3 and then one will be -- maybe in a scale in
4 Courtice or whatever, and the fire chief is
5 expected to react and he is marked accordingly to
6 how he responds to these various fires.

7 Representatives from other
8 countries have come here and still are coming here
9 to see how this works because it's a great training
10 aspect.

11 Environmental issues are totally
12 respected here whether it's human, animal, floral,
13 bird or reptiles. OPG monitors all their areas.
14 There are more species, newer species, than ever
15 before. They also control the invasive plant life.

16 I saw the site prior to
17 construction at OPG, during and after. It is far
18 better now than it ever was. I have only positive
19 feelings about the construction and operations at
20 OPG.

21 On the site, ponds were built for
22 the aquatic life. They partnership with schools to
23 build bird houses, bat houses, butterfly gardens
24 and children's organizations come here to plant
25 trees.

1 The waterfront trail which goes
2 all through Lake Ontario runs through this site and
3 it is used by hikers, cyclists and bird watchers.
4 There's always somebody on the trail.

5 Another example of OPG's
6 involvement with the community is their educational
7 fun activities concerning nature that is free
8 during the winter break. If you are not aware of
9 it, I did bring a clipping from the paper that
10 explains what the kids can do every day during
11 winter break.

12 Soccer fields at the OPG site are
13 well used and appreciated.

14 Community impact. OPG has already
15 established trust in the community through their
16 open communications. The staff are available for
17 speaking engagements.

18 Residents are kept informed
19 through public meetings, prompt response to
20 questions and information available through the
21 computer, phone, staff and an information centre at
22 the mall.

23 OPG have received many awards from
24 the municipality and the region. They've been
25 corporation of the year. They've won CLOCA,

1 Central Lake Conservation Area, and Ducks Unlimited
2 for their work in the community and the
3 environment.

4 This project must proceed as
5 quickly as possible. The time is right. Interest
6 rates are low; workers skilled and non-skilled are
7 available.

8 If we procrastinate with this
9 we're going to lose all the students graduating
10 from universities in nuclear science. They're
11 going to go to other countries. Then are they
12 going to want to return? And it's going to cost a
13 lot more to entice them back again.

14 The project will help the
15 community by supplying jobs, tourism and improving
16 the retail and housing development. The end result
17 is going to give us clean, safe, economical power.

18 I have experienced no negative
19 impacts when OPG was being constructed.

20 In closing, I'm going to summarize
21 an article that was published in the USA Today on
22 March the 24th. This was written by two reporters;
23 one was a conservationist and one was political.

24 On nuclear power plants, they both
25 agree more must be built for two main reasons: 1)

1 cleaner and safer than coal power plants; 2) every
2 kilowatt of power from nuclear power moves the
3 country one step closer to energy independence from
4 the often hostile Middle East.

5 There are 442 nuclear plants; 65
6 under construction. There's been three incidents;
7 Three Mile Lake, Chernobyl and Japan. The reason
8 being these are poor design, human error and
9 earthquake.

10 This makes nuclear power one of
11 the safest energies. There have only been three
12 incidents in the history.

13 When there is an industrial
14 disaster, an opportunity arises to improve all
15 technology in all areas.

16 It's interesting to note that more
17 people -- 33,000 -- have died in car accidents in
18 the U.S. in 2009. That's more than have died
19 because of nuclear power plants. Yet, we are not
20 suspending car manufacturing or walking. I urge
21 you to support the Darlington new build.

22 Thank you.

23 CHAIRPERSON GRAHAM: Thank you
24 very much for your presentation and the way the
25 process goes now, I go to panel members who may

1 have some questions for you.

2 And the first panel member on my
3 list this morning is going to be Mr. Pereira.

4 --- QUESTIONS BY THE PANEL:

5 MEMBER PEREIRA: Thank you, Mr.
6 Chairman.

7 And thank you for your very
8 interesting and positive presentation on your
9 perspectives on the new project.

10 One of the concerns as raised by
11 many of the intervenors who have come before us so
12 far is a concern about health impacts from the
13 operation of nuclear generating stations in the
14 region and many are concerned that any dose of
15 radiation will manifest itself in cancers and other
16 health effects.

17 You have said that you have lived
18 in this area for -- your family's lived in this
19 area for generations.

20 Are you aware of health concerns
21 in the community or from your experience? You
22 worked in the health field actually yourself; so
23 you're probably well placed to make a comment on
24 health impacts of this industry in your region.

25 MS. PINGLE: Yes, Pat Pingle.

1 I worked in the operating room for
2 30 years and, no, I did not see any increase
3 compared to other hospitals.

4 I was active with the Ontario
5 Nurses Association. I was legislative
6 representative for Region 8 and consequently, you
7 would hear if there was an increase of anything
8 whatsoever. And we also -- of course, we have our
9 magazines from nursing and you would do this
10 research, but no, I really can say I did not.

11 But I will mention, just out of
12 interest's sake, that nurses are usually observant
13 on things that occur and Oshawa General Hospital,
14 where I worked, was the first hospital that became
15 aware of the results of anaesthetic inhalation on
16 female staff in childbirth, miscarriages, et
17 cetera, and that was brought forward 10 or 15 years
18 before a research was done.

19 So I can assure you that I did not
20 see any increases in my 30 years in the OR which --
21 that was the theory of taking it out.

22 MEMBER PEREIRA: Thank you very
23 much. That is very valuable input.

24 Thank you, Mr. Chairman.

25 CHAIRPERSON GRAHAM: Thank you,

1 Mr. Pereira.

2 Madame Beaudet?

3 MEMBER BEAUDET: Thank you, Mr.
4 Chairman.

5 I'd like to look with you at one
6 of the aspects you say it would be good for the
7 betterment of the community.

8 And when you talk about tourism,
9 you're probably aware that it was expected that
10 maybe the workers that are coming to build the
11 plant may compete for accommodation with tourism
12 and with tourists who want to come here.

13 So I wanted to know exactly what
14 you meant here and how you feel that they would be
15 accommodated properly?

16 MS. PINGLE: Okay, Pat Pingle.

17 As far as the workers coming here
18 to stay while they're building the project, that
19 was a major, major asset when OPG was being built.

20 Many people opened their homes for
21 boarders, et cetera. I would believe if I was
22 working at the site, I would prefer to stay in a
23 home as a boarder or a room as opposed to staying
24 in a hotel, cost factor friendliness, et cetera.

25 And I think also I've seen what

1 OPG has done to their site with their waterfront
2 trail and the bird watching. People come here for
3 miles to see the birds, et cetera. And I believe
4 that this is a tourist factor.

5 In fact, I did book to go on one
6 of the tours they had here and this is a big thing.
7 They want to come down to the Information Centre
8 and understand and the staff are always available
9 to give information. And I don't think -- I just
10 can't see it would be a -- you know, a problem.

11 And there are so many inns in the
12 area, bed and breakfast inns that that would be a
13 trendy thing. And otherwise, I think a lot of
14 people pass through, stop for a day and whatever.
15 I do not see that being a problem. Maybe we'd have
16 to build another hotel.

17 MEMBER BEAUDET: Thank you. Thank
18 you, Mr. Chairman.

19 CHAIRPERSON GRAHAM: Thank you,
20 Madam Beaudet.

21 A question, what is a past
22 elected -- you were a past elected Hydro
23 Commissioner. Is that a -- that's an elected
24 position. Could you explain that?

25 MS. PINGLE: Yes, before like it

1 used to be called Clarington Hydro and you would
2 have four peer persons elected at large throughout
3 Clarington that would sit on the Hydro Commission.

4 And now I believe Veridian has a
5 Board. They call it a Board now. We called it
6 Commissioners when I was on; so I still refer to
7 that, and we did basically what the Board would do.

8 CHAIRPERSON GRAHAM: Okay. I
9 understand now. It was -- in this area, that was
10 the utility that delivered the electricity; is
11 that ---

12 MS. PINGLE: Yes, they -- yes.

13 CHAIRPERSON GRAHAM: Okay. I
14 follow that.

15 Just the only other point, and Mr.
16 Pereira has pretty well already covered it, but
17 we've had a tremendous amount of -- not a
18 tremendous, but a lot of people have come here and
19 voiced their concern about radiation and I believe
20 we've even had nurses, the professionals that have
21 come and said about child leukemia, leukemia,
22 radiation exposure and pregnancies and so.

23 In your career as a nurse, you've
24 not -- and you said that you hadn't experienced it,
25 but you have nothing more to add than what you'd

1 given Mr. Pereira with regard to your observation
2 as a registered nurse for more than 30 years.

3 On the front lines, you have not
4 seen anything specific?

5 MS. PINGLE: No, and I think
6 that -- the one thing I would comment on when -- is
7 we do a lot of research on, like, cancer incidents,
8 et cetera. I would like to see them do a survey on
9 long life.

10 When I first started to work at
11 Oshawa General, the comment was from Bowmanville
12 where I used to live. I now live in Newcastle.
13 The comment was from Bowmanville, they live until
14 they are over 100 or 95. We have a long lifespan.

15 So we -- radiation, maybe it's
16 helping us live longer if it is there, but no, I
17 don't believe there is any connection whatsoever.

18 At this point I think that there
19 are other factors and, you know, it's -- I have
20 never seen it the operating room where you would
21 see a lot. If there was cancer, that's where you
22 would be seeing it.

23 CHAIRPERSON GRAHAM: Well, thank
24 you very much.

25 Now, next on the process on our

1 hearings is I go to the floor and I'll go to OPG.
2 Do you have any questions to the intervenor this
3 morning?

4 MR. SWEETNAM: Albert Sweetnam.
5 No questions.

6 CHAIRPERSON GRAHAM: CNSC, do you
7 have any questions?

8 MR. HOWDEN: Barclay Howden. No
9 questions. Thank you.

10 CHAIRPERSON GRAHAM: Government
11 agencies or departments? No one going to the mic.
12 That's fine.

13 Interventions from the floor? We
14 don't have any yet this morning. That's very good.

15 Well, with that, I want to thank
16 you very much for coming this morning and thank you
17 for your sincere observation of the -- being a
18 lifelong resident here and your observations and
19 your intervention and safe travels back home.
20 Thank you very much for coming this morning.

21 With that, we will now go to the
22 second group on the agenda this morning, which is
23 the Pickering East Shore Community Association,
24 which is found under PMD 11-P1.185, which is a
25 submission.

1 And would the Pickering East Shore
2 Community Association, please, come forward and
3 identify yourself of who will be doing the
4 presentation this morning.

5 We have -- oh, I'm sorry, we do
6 have a -- I got too many sheets of paper here this
7 morning. I'm following the wrong one.

8 Mr. Falconer, the floor is yours,
9 sir.

10 --- PRESENTATION BY MR. FALCONER:

11 MR. FALCONER: Thank you and good
12 morning, Chairman Graham, and members of the Panel,
13 Madam Beaudet and Mr. Pereira.

14 For the record, my name is Keith
15 Falconer and I am the Elected President of the
16 Pickering East Shore Community Association, also
17 known by -- as PESCA by an acronym.

18 In addition, I am also Chair of
19 the PACC, which is the Pickering Accessibility
20 Advisory Committee, a group that works with the
21 City of Pickering on advising council and staff
22 regarding members of disability issues within the
23 Province of Ontario.

24 Today I am presenting to you as
25 president of PESCA. I've lived next to the

1 Pickering Plant just outside the one kilometre
2 exclusion zone for the past 24 years.

3 Today I'm accompanied by Walter
4 Norwood, Past Secretary of the Pickering East Shore
5 Community Association. Having had recent surgery,
6 Mr. Norwood does not wish to speak today, but
7 wanted to be here to show his support for the new-
8 build project.

9 Mr. Norwood is a 43-year resident
10 of Pickering and I'm proud to say that he is to be
11 the recipient of the City of Pickering's Lifetime
12 Achievement Award this year for his excellence in
13 community work. I'm very grateful for his
14 attendance today under such circumstances.

15 Firstly, I would like to recognize
16 and thank the Commission for holding these hearings
17 here in Durham region, as you have acknowledged our
18 residence, businesses and community groups are
19 arguably the primary stakeholders with respect to
20 nuclear generation in our community. Thank you for
21 this opportunity to present to you today.

22 I would like to start by telling
23 you a bit about our organization and whom we
24 represent.

25 PESCA is an apolitical

1 organization representing the residents of Bay
2 Ridges and the persons carrying on business in the
3 community of Bay Ridges and Pickering, Ontario.

4 Our community is the closest
5 neighbour of Pickering Nuclear. PESCA was founded
6 in 1977 as a community association and is dedicated
7 to the beautification of Bay Ridges and the then
8 Town of Pickering.

9 A map of our member residents and
10 the purpose and objectives of the executive is
11 attached in our written submission under Appendix
12 A.

13 We are also the oldest community
14 association active in Pickering today. Our
15 boundaries are Lake Ontario to the south,
16 Frenchman's Bay to the west, the Highway of Heroes
17 401 to the north, and Squires Beach Road to the
18 east.

19 In this location we represent
20 approximately 6,000 residents and about
21 approximately 200 businesses. Our goals are to
22 promote and enhance the cultural, civic, social and
23 recreational life of the City of Pickering and more
24 particularly within the PESCA boundaries itself.

25 All citizens within our area are

1 automatically members of the association at no cost
2 to the individual.

3 PESCA is involved in representing
4 the community and as such we welcome and encourage
5 the residents of our area to either come to our
6 monthly meetings and/or join the executive.

7 The Pickering East Shore Community
8 Association wishes to support the Environmental
9 Impact Statement submitted by Ontario Power
10 Generation for the environmental assessment of this
11 proposed project.

12 As one of the major employers in
13 Durham Region, the Pickering Nuclear Plant is
14 located in the Bay Ridges area where many local
15 residents are employed directly and indirectly by
16 OPG.

17 The PESCA executive does not claim
18 to have any professional expertise in the
19 operations at the site, but through a recent tour
20 and several presentations we have become more
21 aware.

22 We wish to provide an outlook,
23 unique and quite similar to that of Clarington with
24 the proposed new build.

25 As a community, we saw both

1 Pickering A constructed in the 1960s and then
2 entered into service in the year '71 to '73.

3 As well, our community experienced
4 the construction of Pickering B, which began in
5 1974 with the four units coming into service from
6 '83 to '86. This is similar to that of the current
7 Darlington site that is in operation now and the
8 proposed new build.

9 We would like to cover the social
10 economic effects as outlined under the EIS. In an
11 effort to demonstrate OPG's open communication with
12 the public, members of the public affairs
13 department have addressed the public -- have
14 addressed the PESCA Executive from time to time and
15 have made public presentations at several of our
16 annual general meetings.

17 At these meetings, they have gone
18 to extreme lengths to satisfactorily deal with
19 concerns and questions raised by the residents. I
20 would not be remiss to acknowledge the recent and
21 ongoing events in Japan.

22 Our thoughts and prayers go out to
23 the people of Japan as they struggle to cope with
24 the aftermath of the catastrophic earthquake and
25 tsunami. Our sincere condolences go out to all

1 those who lost loved ones.

2 In reflecting on these tragic
3 events, I echo the comments made by David Ryan, our
4 mayor of the City of Pickering. While the
5 unprecedented events of the past few weeks should
6 not be ignored, we must refute the ease allure of a
7 retraction policy -- retractionary policy making
8 that is simply not good governance.

9 Instead, let us steal our resolve
10 and rise to challenge before us. We must recommit
11 ourselves to the main goal of having the most
12 advanced productive and safest nuclear industry in
13 the world. Collectively our goals are not
14 unchanged.

15 For Canada to remain at the
16 forefront of the Nations, we need to invest in
17 clean, reliable, effective and safe energy
18 production today.

19 It is our opinion that OPG has
20 made considerable efforts to inform the local
21 community about the Darlington new build.

22 Explanatory literature was
23 distributed to Durham households, elected officials
24 and to the media. Information was published in the
25 local newspapers, and senior executive managers

1 made several presentations, even to communities as
2 far away as Peterborough and Markham.

3 It's important to mention that OPG
4 maintains a strong relationship with the community.
5 As a whole OPG is a member of the Board of Trade,
6 supports local sports groups, charities, the local
7 hospital, the Rotary Rib Fest and PESCA's Garden
8 Awards, and provides educational opportunities to
9 students and their families at their Energy
10 Information Centre.

11 They also award bursaries to high
12 school students, graduates and make presentations
13 to city and municipal councils, and encourage
14 employees to get involved with charitable
15 fundraising activities.

16 PESCA is an active member of OPG's
17 Community Advisory Council, and their environmental
18 stewardship Pickering initiative.

19 In addition, OPG can be seen at
20 many local activities volunteering their time. A
21 few examples are tree-planting, parades, and
22 helping senior citizens at home.

23 OPG and staff are a significant
24 benefactor to the community and a major contributor
25 to our local economy. Their partnership with our

1 community is invaluable.

2 OPG always maintains open and
3 transparent communications with its stakeholders.
4 For example, our PESCA representative on OPG's
5 Community Advisory Council informed our executive
6 about the recent demineralised water leak at
7 Pickering. This was his first report back to us in
8 a number of years, indicating that there is little
9 or to no level of concern.

10 Only one member of our executive
11 expressed concern about the leak in an attempt to
12 attract media attention for himself. These
13 concerns were discussed in an open forum, and I
14 addressed his concerns with the information
15 provided to me by OPG.

16 It is also important to note that
17 OPG only received two to three phone calls
18 regarding that incident.

19 In regards to the choice of using
20 cooling towers or lake water cooling for condenser
21 cooling, we believe that lake water cooling is the
22 best option. Cooling towers would have a negative
23 impact on environmental footprint of the area.

24 An added benefit to the nuclear
25 Darlington new build is the increased employment

1 opportunities for our Durham citizens. Along with
2 this, new housing and spinoff businesses and
3 industry will be created indirectly. This will add
4 to the economic development and increased revenues
5 for the local area.

6 In addition, OPG has won
7 recognition for sustainability environmental
8 initiatives through awards presented by the City of
9 Pickering, the Region of Durham, and the Board of
10 Trade. OPG's support of Pickering's waterfront is
11 a significant environmental contribution.

12 PESCA supports Canadian jobs and
13 industry, and as such, we would endorse the
14 recommendations of an enhanced CANDU VI proven
15 technology for the Darlington site.

16 We recognize that the CNSC is a
17 strong regulator and plays a vital role in today's
18 nuclear industry.

19 PESCA believes that the community
20 residents want a greener environment, one that has
21 a goal of reducing carbon gas emissions, as well as
22 a reliable and economic energy supply. The
23 Darlington new build will go a long way to
24 achieving this goal.

25 For all these reasons PESCA is in

1 full support of EIS submitted by OPG for the
2 environmental assessment for this project. We
3 conclude that this project will actually enhance
4 the natural environment.

5 Many employees and their families
6 live near this nuclear facility. This shows their
7 level of confidence in CANDU technology. Their
8 safety record proves their level of expertise in
9 their field, and OPG's ability to manage a safe and
10 productive plant.

11 The local communities will benefit
12 from the expansion of Darlington plant, just as the
13 Pickering communities have benefitted in a major
14 way.

15 We suggest that these local
16 communities, the Canadian public and true
17 environmentalists would be in fullest support of
18 this proposed new nuclear power plant.

19 The PESCA Executive thanks the
20 panel for the opportunity to be part of this
21 process, and I'll be willing to answer any
22 questions you may have.

23 Thank you very much for your time.

24 CHAIRPERSON GRAHAM: Well, thank
25 you very much, Mr. Falconer, for your presentation

1 this morning, and welcome also to Mr. Norwood.
2 Thank you for coming and showing your support.

3 I will now go to intervenor
4 questions, and Mr. Pereira.

5 --- QUESTIONS BY THE PANEL:

6 MEMBER PEREIRA: Thank you, Mr.
7 Chairman.

8 Thank you for the very interesting
9 presentation. I'll ask you the same question that
10 I asked the previous intervenor, and that's the
11 concerns about health.

12 In your community, in the
13 interactions you have with the community, are there
14 any concerns that -- that residents in your
15 community express about health impacts of radiation
16 and -- and waste from nuclear operations?

17 MR. FALCONER: Keith Falconer, for
18 the record through Chair Graham to Mr. Pereira.

19 We've had many of meetings in the
20 past where OPG has come or either hosted the
21 meetings or been to our meetings. There would be
22 minimal level of concern, and I think it would
23 reflect in their open house venues when you
24 actually see the turnout compared to the residents
25 that actually live in the area versus the special

1 interest groups that would be involved otherwise.

2 From a standpoint of does it come
3 up on a regular basis, as indicated when I said
4 about the demin water leak, there was one
5 individual that raised concerns, had indicated to
6 me that he was going to contact OPG.

7 I went back to OPG and verified
8 that he had not contacted them, and got the
9 information to them -- got the information to my
10 executive to ensure that any concerns were
11 addressed.

12 So when they are raised, we do
13 address them and they do have a community hotline
14 that's available, as far as I know, 24/7 where
15 people can reach them, and if there is concern with
16 any particular issues, I'm sure OPG is more than
17 capable to deal with them.

18 As well as the sampling and that,
19 I think relatively the public and the community is
20 aware that they do -- they do water sampling, soil
21 sampling on a regular basis to ensure that there is
22 no contamination present.

23 MEMBER PEREIRA: Thank you for
24 that answer.

25 One of the concerns expressed by

1 many intervenors is that low levels of radiation
2 exposure increase the risk of cancer, and with the
3 population you have in your community, is there any
4 concern about cancer -- increase in cancer rates
5 caused by the environment they live in, and the
6 fact that they're near a nuclear generation
7 station?

8 MR. FALCONER: I would say --
9 Keith Falconer, for the record through Chair Graham
10 to Mr. Pereira.

11 I would say that if any concerns
12 would come from a cancer aspect, I believe the
13 limit around the plant is .02 millirem or something
14 to that effect.

15 Any issues that would be brought
16 up with that, there was a study, I think, conducted
17 by Durham Region, and I think it was back in late
18 '90s or something to that effect with leukemia in
19 children and things like that.

20 I believe there was -- the
21 findings were that there was no increase in cancer
22 rates in the Durham Region. I think in some areas
23 actually there was increased cancer rates without
24 nuclear facilities in that area.

25 MEMBER PEREIRA: Thank you very

1 much.

2 My next question concerns your
3 comments about cooling towers versus once-through
4 lake water cooling. What's the -- what is the
5 primary concern about cooling towers?

6 Is it just the appearance of --
7 that the cooling tower would dominate the local
8 surroundings as a significant structure, and what
9 exactly is the reason why residents would prefer
10 once-through cooling as opposed to a cooling tower?

11 MR. FALCONER: Keith Falconer
12 through the -- for the record, again, through Chair
13 Graham.

14 I believe the issue with cooling
15 towers applies to the visual impact. They don't
16 want -- members of the community don't want to see
17 it as an industrial site.

18 As well, the environmental
19 footprint could be increased by the actual land use
20 that's required. It's a tremendous allotment of
21 land use, and I believe it was estimated that there
22 would be something in the range of 400 trucks of
23 soil being taken out, where to put that soil and so
24 on and so forth.

25 Lake water cooling, on the

1 opposite hand, when CANDU has been built, it's
2 usually been built with lake water cooling.
3 There's a stigma attached to a cooling tower in the
4 sense that it could be a misconception because,
5 again, where a lot of -- a lot of the issues lay is
6 where we have an uneducated public.

7 And the plumes that come out of a
8 cooling tower could be thought of as either
9 radioactive plumes, although it's just completely
10 light water coming out.

11 Also, does the plume go to the
12 401? Does it go out to the Lake Ontario and so on
13 and so forth?

14 There are concerns with the fish
15 with lake water cooling, and I believe that is with
16 lake water cooling from the EIS, which I did go
17 through and read.

18 I believe the impact was
19 particular to the round goby as the fish of impact,
20 not as identified on the Fisheries and Oceans
21 Canada from the federal government as an invasive
22 species.

23 That would be the majority of the
24 fish that would be going from there. And as
25 invasive species, as classified one, a round goby

1 actually eats the native eggs of the fish that are
2 in that area and impacts the native fish in that
3 respect.

4 So in a sense, we're looking at --
5 there also is in that land aspect, I believe there
6 is tern nests or something in that area, a bird
7 sanctuary, that would have to be ripped up if the
8 cooling towers did go in.

9 But it does rely a lot on the
10 visual impacts, but I definitely say there is more
11 impact in putting cooling towers in than once-
12 through lake water cooling.

13 MEMBER PEREIRA: Thank you very
14 much. Thank you, Mr. Chairman.

15 CHAIRPERSON GRAHAM: Madame
16 Beaudet.

17 MEMBER BEAUDET: Thank you, Mr.
18 Chairman.

19 I'd like to examine with you a
20 little bit of the experience your association had
21 with the growing up of Pickering, because you do
22 mention that you have seen the construction of
23 Pickering A and Pickering B.

24 We did discuss that of -- for
25 evacuation purpose and greater safety, I suppose,

1 the plant should always be at least -- let's say
2 one kilometre away from residential areas.

3 I'd like to ask you if it had to
4 be done again, what would be the lessons learned
5 with respect to Pickering because Pickering has
6 grown a lot very close and around -- around the
7 site. So what do you feel should have be done or
8 not done?

9 MR. FALCONER: Okay. Keith
10 Falconer, for the record.

11 Did you want to jump in too? No,
12 you're okay. All right, through Chair Graham. I
13 would say that lessons learned from Pickering, back
14 -- well, when Pickering was being built, and I'm --
15 I'm pretty positive that OPG had learned that
16 lesson in the past when it was the old Ontario
17 Hydro was communications.

18 And they've greatly improved those
19 communications to the effect that if there was
20 traffic congestion during the -- say the build of
21 Pickering B or Pickering A, that they would inform
22 members of the public.

23 And they have gone to extreme
24 lengths to tell people that with their newsletters.
25 They also actively involve, say, the municipalities

1 and their community -- their CAC, their community
2 association group.

3 They actively tell them when there
4 is going to be steam releases, when a unit is shut
5 down, and things like that. The biggest thing to
6 learn from that build would have been the
7 communications.

8 Just communications to the public,
9 and I think they're -- they've come a long way in
10 that aspect, and it's -- and it's proven over the
11 past, I would say, 10 to 12 years since they have
12 established that CAC, made that open link to the
13 public and tell people what's going on.

14 Because a misinformed public or an
15 uncommunicated public then goes and falls into
16 assumptions, and everybody knows what happens when
17 we make assumptions, right.

18 So at least when they -- when they
19 do communicate their efforts, people are informed,
20 and they can -- they can make informed decisions.

21 MEMBER BEAUDET: Thank you. Thank
22 you, Mr. Chairman.

23 CHAIRPERSON GRAHAM: Thank you,
24 Madame Beaudet.

25 You made a comment about a lot of

1 fill had to be moved, and I think you said 500
2 truckloads or -- it's 12 million cubic metres. If
3 you figure 24 cubic metres to a load, it's about a
4 half a million truckloads. So there is a little
5 difference there --

6 MR. FALCONER: Yeah.

7 CHAIRPERSON GRAHAM: -- but I
8 think it's somewhere around 12 million.

9 There's discussion of about 9
10 million being relocated on site, but still 3
11 million that has to be relocated off site to some
12 other jurisdiction, and that -- that is a big issue
13 that amounts to a tremendous amount of truck
14 traffic and so on. So just to put it in
15 perspective, it's a large amount.

16 MR. FALCONER: M'hm.

17 CHAIRPERSON GRAHAM: With that,
18 we'll go to --

19 MR. FALCONER: Could I just
20 respond?

21 CHAIRPERSON GRAHAM: Sure, go
22 ahead.

23 MR. FALCONER: Keith Falconer, for
24 the record.

25 I think what I meant to say was I

1 believe it was quoted at 400 truckloads per day, I
2 think it was, by Mayor Foster. I believe he had
3 mentioned that. I think that they're looking at
4 putting the soil somewhere in the 407 range when
5 the 407 does end up coming out this way.

6 CHAIRPERSON GRAHAM: Yes, thank
7 you.

8 MR. FALCONER: Sorry, I apologize
9 for that.

10 CHAIRPERSON GRAHAM: No, no, if
11 it's 400 a day, it's a thousand days of trucking.

12 MR. FALCONER: Right.

13 CHAIRPERSON GRAHAM: To put it in
14 that perspective.

15 So, anyway, we'll go further now
16 to go to the floor, and, OPG, do you have any
17 questions or comments to the presenter?

18 MR. SWEETNAM: Albert Sweetnam.
19 No questions.

20 CHAIRPERSON GRAHAM: CNSC?

21 MR. HOWDEN: Barclay Howden. No
22 questions, thank you.

23 CHAIRPERSON GRAHAM: Government
24 agencies? Not, fine.

25 From the floor, do we have any

1 from the floor? Julie? We have none, okay. Thank
2 you very much.

3 Well, with that, I want to take
4 the opportunity to thank the presenters this
5 morning, the Pickering East Shore Community
6 Association. Mr. Falconer and Mr. Norwood, we
7 thank you for coming this morning, and, Mr.
8 Norwood, we extend good health to you, and to you,
9 sir, safe travels back to Pickering.

10 Thank you very much.

11 MR. FALCONER: Thank you.

12 CHAIRPERSON GRAHAM: Now, the next
13 intervenor is the Clarington Board Of Trade, which
14 is found in our presentations under PMD 1.97 and
15 PMD 11-P1.97A, and I believe Sheila Hall is the
16 presenter this morning along with some other people
17 with her.

18 So welcome, Ms. Hall, and I'll ask
19 you to introduce the presenters with you this
20 morning.

21 --- PRESENTATION BY MS. HALL:

22 MS. HALL: Good morning and
23 welcome to Clarington.

24 I'd like to just take a minute and
25 introduce the people at the table with me.

1 On my left I have Randy Henry.
2 He's the current President of the Clarington Board
3 of Trade and a long-time family business owner in
4 the community.

5 I have Rosemary Yeremian who will
6 be doing part of our presentation with us, and
7 Jenna Shaw will be helping us with the PowerPoint
8 presentation.

9 So I'd like to say thank you for
10 the opportunity for allowing me to speak to you
11 today.

12 My name is Sheila Hall. I'm the
13 Executive Director and Economic Development Officer
14 for the Clarington Board of Trade. I have also
15 lived in the community for 20 years and raised my
16 two children who are now adults.

17 We've raised them here with
18 confidence that they will continue to live safely
19 and with opportunity to raise their families as we
20 have done.

21 I'd like to take just a moment of
22 your time and explain the role of the Clarington
23 Board of Trade in the Clarington community.

24 We are primarily a membership
25 based organization with approximately 300 members.

1 We were established in 1998 following a
2 recommendation by a task force set up by the mayor
3 of the day. They were looking for a progressive
4 approach to execute the role of economic
5 development and services to our existing business
6 community.

7 A philosophy developed that
8 business could sell to business better than
9 government could. This unique model has allowed
10 the Clarington Board of Trade to take on a
11 mediation role to ensure that rules and business
12 are respected in the development process.

13 We also provide many benefits to
14 our existing business community as we provide cost
15 savings, partnership building and educational
16 opportunities, in addition to being the voice of
17 our business community, inclusive of all sectors
18 and sizes.

19 We are governed by a board of 16
20 directors, one of which is occupied by an Ontario
21 Power Generation representative.

22 In 2005, the Clarington Board of
23 Trade entered an agreement with the municipality of
24 Clarington to work with our existing medical family
25 -- sorry, family medical team to provide the

1 services of physician recruitment.

2 We strongly believe that our
3 community development and services are important to
4 our existing and prospective businesses.

5 We are proud to note that we have
6 moved from being under-serviced by 13 doctors to
7 five and I can personally say that nuclear presence
8 in our community has not been raised as a concern
9 for interested doctors, and that quite to the
10 contrary, our quality of life -- the quality of
11 life that we are blessed with in Clarington is a
12 strong attraction piece for us.

13 I'm proud to say that I have been
14 involved with the Clarington Board of Trade for ten
15 of our 13 years and have had many opportunities to
16 meet the majority of our business community to
17 ensure we have a clear understanding of their goals
18 and ideas for moving forward.

19 As Clarington's largest business
20 organization with a mandate to provide our business
21 community with a voice at all levels of government,
22 in addition to our role in economic and community
23 development, we have proudly supported and
24 participated in many elements of this project.

25 We have promoted the Darlington

1 diverse vegetable and fruit farms, cereal crops and
2 livestock farms, to vibrant small manufacturing and
3 service industries.

4 Clarington is proud to be
5 contributing to and exploring new opportunities for
6 growing Canada's economy.

7 Many of our small businesses are
8 always looking at opportunities to diversify their
9 business have embraced the solar and wind industry.
10 They are also very excited to see the opportunities
11 that may come their way through the new nuclear
12 project at Darlington.

13 In addition to manufacturing and
14 construction growth, we have been helping our
15 service industries, including restaurants,
16 accommodations, personal services, legal and
17 accounting, et cetera, to understand that there
18 will be a workforce increase in our community and
19 that their services will benefit as well.

20 I have taken the liberty to speak
21 with a couple of business leaders that have had
22 businesses here when Darlington was originally
23 built and although we don't have statistics, we do
24 have first-hand experience telling us that the
25 impact for small business was great and that they

1 look forward to seeing this type of boom in our
2 economy again.

3 We have several companies that are
4 able to supply to Ontario Power Generation. Many
5 of these and others are very interested in this
6 project as it holds one of a kind supply chain
7 opportunities to help them grow their business and
8 increase employment and opportunity in our
9 community.

10 I would like to now turn our
11 presentation over to Rosemary Yeremian of Strategic
12 Insights to provide the technical review.

13 --- PRESENTATION BY MS. YEREMIAN:

14 MS. YEREMIAN: Good morning. My
15 name is Rosemary Yeremian and I am President and
16 CEO of Strategic Insights Inc.

17 We were retained through a
18 competitive process by the Clarington Board of
19 Trade to conduct a peer review on the socioeconomic
20 impacts of the Darlington environmental assessment.

21 My company and I have significant
22 experience in the nuclear energy sector. I am a
23 former employee of Atomic Energy of Canada Limited.
24 During my time at AECL, I was responsible for the
25 Ontario market strategy.

1 This included educating
2 stakeholders such as provincial government,
3 business associations and other interest groups
4 about the positive socioeconomic impacts of new
5 nuclear builds in Ontario.

6 Since founding Strategic Insights
7 Inc., I have continued to work in the nuclear
8 energy sector in Canada and abroad.

9 Our overall objective for this
10 study was to assess the positive and negative
11 socioeconomic impacts for the EA for new nuclear
12 builds at Darlington, in terms of the impact they
13 would have on issues of concern to the Clarington
14 Board of Trade and local business community. These
15 would include issues such as job creation, economic
16 development, et cetera.

17 In order to determine whether the
18 socioeconomic impacts in the Darlington EIS were
19 appropriate, we compared the estimated effects to
20 other studies conducted, which estimated the
21 quality and level of socioeconomic impacts related
22 to new nuclear builds.

23 There were five Canadian studies
24 conducted between 2003 and 2009 that estimated the
25 level of socioeconomic impacts related to an

1 unspecified new nuclear build in Canada.

2 There was also one American study
3 that was conducted in 2005, that estimated the
4 socioeconomic impacts related to an unspecified new
5 nuclear build in the United States.

6 Our peer review compared the
7 impacts outlined in the Darlington EIS to those
8 outlined in all the documents listed here. I will
9 now present our findings.

10 The first area we examined was
11 that of population and demographics. This table is
12 based solely on the numbers in the Darlington EIS.

13 ased on our experience and
14 forecasting, coupled with our understanding of
15 employment related to new nuclear -- sorry, related
16 to nuclear plants, we felt that the forecasts in
17 the Darlington EIS related to population and
18 demographics were appropriate.

19 We did note, however, a few
20 factors that may affect the forecasts.

21 First, we believe there would
22 likely be a different level of employment,
23 particularly in the site preparation and
24 construction phase, depending on which nuclear
25 technology was chosen.

1 Obviously, a larger reactor, for
2 instance, a 1,600-megawatt reactor, would warrant a
3 larger construction workforce than a smaller
4 reactor, for instance, a 700-megawatt reactor.

5 This is due to the fact that a
6 larger megawatt reactor would be a larger structure
7 and hence would require a greater workforce to
8 construct it.

9 In addition, the projections for
10 population growth could be affected upward should
11 nuclear-based companies decide to locate or
12 relocate to the municipality of Clarington.

13 Finally, the projections could be
14 affected if there were shortages in skilled
15 labourers and engineers in the electricity sector.

16 While our evaluation has concluded
17 that skilled labourers would not be in shortage,
18 there are other studies, including the studies
19 conducted by the Electricity Council -- Sector
20 Council of Canada that expect shortages in the
21 electrical engineering field starting in 2015.

22 If these shortages occur, they may
23 affect the population and employment numbers
24 forecasted in the Darlington EIS.

25 The secondary area we examined was

1 that of skills and labour supply for construction.

2 The Darlington EIS estimated that
3 the site preparation construction phase will
4 require an on-site workforce of up to 3,500 skilled
5 and unskilled workers, engineers, architects and
6 technicians for up to eight years for two units and
7 up to 16 years for four reactor units.

8 In terms of labour, the only
9 comparable study that was done was a U.S.
10 Department of Energy study conducted in
11 anticipation of new nuclear builds in the U.S.

12 The U.S. DOE study used an
13 unspecified 1,000 megawatt reactor build on which
14 to base their numbers.

15 The reactor sizes considered in
16 the Darlington EA are comparable to that size of
17 reactor. The U.S. DOE study estimated 3,200
18 workers required for two units.

19 Given that the U.S. data was
20 comparable to that of the Darlington EIS, we found
21 the estimates in the Darlington EIS as related to
22 skills and labour supply to be appropriate.

23 In order to provide further
24 information to the Clarington Board of Trade
25 regarding the types of skilled labourers involved

1 in a new nuclear build, we provided a table of the
2 estimated breakdown of labourers involved in a new
3 nuclear build.

4 This was information gathered from
5 the U.S. DOE study prepared in 2005 that was
6 mentioned before.

7 Moving on to operations and
8 maintenance, the Darlington EIS estimated 1,400
9 skilled labourers, employees, contractors, and
10 management related to two units. We compared this
11 number to the operations and maintenance workforce
12 for two units at Bruce Power.

13 Bruce Power employs 3,700 people
14 and 2,000 contractors to operate and maintain six
15 units, excluding the two units that are currently
16 being refurbished, which produce approximately
17 4,700 megawatts of power.

18 Based on Bruce Power's workforce,
19 one can calculate that a two-unit plant would
20 require approximately 1,900 skilled and unskilled
21 workers, including management, et cetera.

22 Based on a comparison of these two
23 numbers, we found the Darlington EIS's estimate to
24 be appropriate, if not a bit conservative, for the
25 O and M workforce of the new nuclear plant.

1 One very positive aspect of the
2 new nuclear units at Darlington is the impact it
3 would have on education in the area.

4 We agreed with the Darlington EIS
5 that the project will likely be a driver for
6 increased enrolment in post-secondary educational
7 programs, particularly in project-related careers
8 such as engineering.

9 A likely positive impact related
10 to this would be the potential expansion of UOIT
11 and Durham College as a direct result of the
12 increased workforce required at the plant.

13 This would all be considered to be
14 positive for the municipality of Clarington as it
15 would directly increase the level of education
16 across the municipality.

17 In terms of economic development
18 to the municipality, we also found the new nuclear
19 build to have a positive impact on the local and
20 regional economy through all of its phases.

21 In particular, the project is
22 likely to attract several nuclear energy-based
23 companies to the municipality as it would be a cost
24 benefit for them to be located near the plant.

25 We expect that most of the

1 companies that would locate to Clarington would be
2 directly involved in the design and execution of
3 the new nuclear plants.

4 In addition, however, we also
5 expect the project to drive further economic growth
6 from other investments in the municipality; for
7 example, some of the companies may decide to locate
8 to Clarington to service the influx of new
9 residents in the municipality.

10 There will also be increased
11 opportunities for existing businesses. This would
12 all have a positive economic impact on the
13 Municipality of Clarington.

14 The Darlington EIS categorizes
15 socioeconomic impacts into human assets, financial
16 assets, et cetera. The issues we've examined thus
17 far fall into the human assets category.

18 While human assets -- while the
19 human assets category was overall very positive in
20 terms of socioeconomic impacts, there were a few
21 mitigation measures outlined in the Darlington EIS,
22 specifically that OPG will share information with
23 local and regional land use planners, economic
24 development staff and social services providers
25 with respect to the timing and magnitude of the on-

1 site workforce during site preparation
2 construction.

3 OPG will work with government and
4 other electricity sector employers, labour groups
5 and educational institutions through existing
6 liaison mechanisms and programs during the site
7 preparation and construction and operation and
8 maintenance phases; and that a traffic management
9 plan will be implemented with the objective of
10 reducing disruption and maintenance and maintaining
11 safe traffic conditions during the site preparation
12 and construction phase.

13 Based on our overall assessment of
14 the positive socioeconomic impacts and the
15 mitigation measures that OPG outlined in order to
16 ensure that that lines of communication are open
17 and that any potential negative socioeconomic
18 impacts are suitably handled, we determined that
19 the mitigation measures for the impacts on human
20 assets was appropriate.

21 The next area we examined was that
22 of financial assets.

23 The first area analyzed was that
24 of employment during construction. For this area,
25 we had many reference points to conduct our

1 comparative analysis.

2 According to the Darlington EIS,
3 the total direct and indirect jobs created as a
4 result of the construction of two new nuclear units
5 at Darlington would be 9,600.

6 This figure can be compared to
7 similar analyses conducted on employment and new
8 nuclear reactor construction.

9 For instance, the Canadian Energy
10 Research Institute, or CERI, released a study
11 entitled "The Economic Impact of the Nuclear
12 Industry in Canada" in 2003.

13 In it, the study noted that two
14 720 megawatt reactors constructed in Canada would
15 create 40,000 person years of employment directly
16 and indirectly.

17 If one proportionately increases
18 this figure to apply to a 1,100 megawatt reactor,
19 the employment in person years increases to 61,000.
20 Assuming an average construction time of six years,
21 the total employment created would be 10,167 jobs.

22 This is higher than the Darlington
23 EIS figure, yet still within the range of
24 comparability.

25 In 2008, CERI updated its analysis

1 in a report entitled "The Canadian Nuclear Industry
2 Contributions to the Canadian Economy".

3 In this study, CERI claimed that
4 two new 720 megawatt reactors constructed in Canada
5 would create 80,233 person years of employment or
6 56 person years per megawatt.

7 If we assume two 1,100 megawatt
8 reactors will be built at Darlington, then per the
9 CERI 2008 study, that would equate to 123,200
10 person years of employment or 20,533 jobs.

11 Another comparable source for
12 employment information is the U.S. DOE NP2010
13 nuclear power plant construction infrastructure
14 assessment of 2005.

15 According to the U.S. DOE study,
16 the construction of two new nuclear plants would
17 require 2,560 construction workers, which are 60
18 percent of the total labour force for construction.
19 Thus, there would be 4,267 direct jobs created for
20 construction of two new nuclear plants.

21 If we use the common multiplier of
22 1.5 to include indirect jobs, we come to a total of
23 6,400 direct and indirect jobs being created.

24 The most recent analysis of
25 employment linked to new nuclear builds at

1 Darlington was conducted by the Conference Board of
2 Canada in March of 2009.

3 According to their report entitled
4 "The Economic Impact of New Nuclear Investments in
5 Canada", the employment associated with new nuclear
6 builds at Darlington is 64,277 person years of
7 employment.

8 Again, if we assume the average
9 construction of a nuclear plant is six years, the
10 total employment created would be 10,712 jobs.
11 Note that this figure is very similar to the CERI
12 2003 analysis.

13 Based on this comparative
14 analysis, we found that the Darlington EIS's
15 estimates for employment during construction to be
16 appropriate, if not slightly conservative.

17 We expect the actual employment
18 numbers during construction to be slightly higher
19 and more in line with the latest Conference Board
20 study.

21 The Darlington EIS estimated that
22 by the completion of the site preparation and
23 construction phase, the project is forecast to
24 attribute \$1.953 billion in annual added GDP to the
25 region.

1 In comparison, the CERI 2003 study
2 and the CERI 2008 study both found that the GDP
3 impact would be significantly greater.

4 The CERI 2003 study found that if
5 two 720-megawatt reactors were to be built in
6 Canada, the impact on GDP would be 2.6 billion.

7 Likewise, the CERI 2008 study
8 found that the total value added in terms of GDP
9 would be 5.973 billion. In fact, the CERI 2008
10 study estimated that each megawatt of new nuclear
11 reactor would produce \$4.15 million in GDP
12 benefits.

13 Considering this per-megawatt
14 value of GDP benefit, we then reworked the
15 Darlington EIS methodology using an estimate of
16 \$756,592 for every million invested in new nuclear
17 and this estimate was taken from Table C2 of
18 Appendix C for the Darlington EIS in the technical
19 support document.

20 So assuming two 1,100-megawatt
21 nuclear reactors were invested in, this would
22 produce a GDP impact of 7.566 billion, which is
23 closer to the CERI 2008 estimate than the
24 Darlington EIS estimate.

25 And then a final comparator to the

1 Darlington EIS is the 2009 Conference Board of
2 Canada study.

3 In this study, a new nuclear build
4 at Darlington was estimated to have a \$9.8 billion
5 impact on GDP for construction of the Darlington
6 plants.

7 Clearly this is the highest
8 estimate of all the comparable studies. One reason
9 for this is that the estimate was Canada-wide and
10 not only focused on the LSA and RSA regions.

11 Based on our analysis, we found
12 the Darlington EIS's estimates for business
13 activity during construction to be too low. Based
14 on the comparators, we would estimate that an
15 actual nuclear reactor build with two units would
16 result in significantly greater GDP activity than
17 the estimates outlined in the EIS.

18 In terms of business activity
19 during operations, the Darlington EIS estimates
20 that the annual GDP contribution attributable to
21 the project ranges from 1.4 billion in 2018 to 709
22 million in 2084.

23 The CERI 2008 study found that
24 there was 4.988 billion in GDP impact in 2005 from
25 12,767 megawatts of nuclear power running in

1 Canada.

2 If one were to address this figure
3 proportionately to reflect two 1,100-megawatt
4 plants, the annual GDP impact would be 860 million.

5 As such, the Darlington EIS
6 estimate for annual GDP contribution from
7 operations and maintenance for two new nuclear
8 plants at Darlington is appropriate.

9 The Darlington EIS noted that
10 during the site preparation and construction phase,
11 some construction workers may compete with tourists
12 for temporary accommodation in the Clarington
13 region.

14 This competition may result in
15 some tourists opting for alternative accommodations
16 elsewhere in the LSA or RSA.

17 Should this occur, some tourist
18 businesses whose operations are largely dependent
19 on visiting tourists may be the most vulnerable.

20 Those preferring to stay at the
21 Darlington Provincial Park and nearby hotels and
22 motels would be the most inconvenienced by the
23 competition.

24 However, the influx of project
25 workers will become an alternative source of

1 revenue for the temporary accommodation providers.

2 The Darlington EIS also stated
3 that over the long term, this competition is not
4 expected to seriously affect the tourism industry
5 in Clarington because current occupancy rates are
6 generally low and expect to remain so until the
7 project commences.

8 This assessment appears to be
9 appropriate given the nature, quantity and quality
10 of accommodation facilities in the Clarington area.

11 It is also felt that the
12 Darlington EIS is correct in stating that there
13 will be no adverse effects on tourism given that
14 the existing Darlington Nuclear Plant has not
15 caused adverse effects on tourism.

16 We also examined the mitigation
17 measures of impacts on financial assets and these
18 were primarily related to issues of dust, noise and
19 traffic that accompany the site preparation,
20 construction phases of the project.

21 We understand that OPG will put in
22 place a nuisance effect-management plan, as well as
23 a traffic-management plan to address these impacts.
24 We found comments to these plans to be appropriate
25 given the expected impacts of the Darlington EA.

1 We were also pleased to see that
2 OPG will re-establish full access to and use of the
3 waterfront trail once safe access can be provided.

4 Based on our analysis, we deemed
5 that, overall, a new nuclear plant at Darlington
6 will have significant, positive socioeconomic
7 impacts for the Municipality of Clarington,
8 including among other things the positive impacts
9 related to an increase in employment and business
10 activities in the municipality and the region.

11 In terms of the estimates for
12 employment and business activity, we found the
13 Darlington EIS' estimates to be appropriate and
14 more on the conservative side

15 As I mentioned before, we expect
16 that the actual numbers related to employment and
17 business activity in the region to be greater than
18 those outlined in the EIS.

19 Based on our overall comparative
20 analysis, the Clarington Board of Trade expects
21 positive socioeconomic impacts meeting or exceeding
22 those outlined in the Darlington EIS.

23 This is a major infrastructure
24 project and we expect positive impacts will reach
25 Clarington, the Region of Durham and the Province

1 of Ontario.

2 We feel that the mitigation
3 measures outlined in the Darlington EIS are
4 appropriate and, as such, we found no reason for
5 our client, the Clarington Board of Trade, not to
6 support this project.

7 I will now turn it over to Sheila
8 Hall from the Clarington Board of Trade to outline
9 her conclusions.

10 MS. HALL: I'd like to just take a
11 minute and note that in the audience this morning
12 with us we have several local business owners.

13 We have a representative from
14 Ajax's Economic Development Department and our
15 regional councillors, Willie Woo and Mary Novak.

16 So on behalf of our Board of
17 Directors, members and business community, the
18 Clarington Board of Trade has completed a fair
19 review of the socioeconomic impacts from the EIS
20 prepared by Ontario Power Generation for the new
21 nuclear project and support that this project will
22 bring many benefits to Clarington, Durham Region
23 and the Province of Ontario.

24 I would like to thank you for your
25 time and do hope that you are enjoying our fabulous

1 community and exploring our local business
2 community for your needs during your stay.

3 CHAIRPERSON GRAHAM: Thank you
4 very much.

5 Sadly to say, with 13-hour days,
6 we haven't had much chance to view the community.
7 Nevertheless, perhaps we'll come back at some other
8 time.

9 With that, I will now go to panel
10 members and Mr. Pereira, you're first. You may
11 have some questions.

12 --- QUESTIONS BY THE PANEL:

13 MEMBER PEREIRA: Thank you very
14 much, Mr. Chairman.

15 I note that a couple of times in
16 your presentation you talked about the traffic-
17 management plan and the intention to examine ways
18 to respond to possible disruption and safety issues
19 that might arise during construction.

20 What are the principal choke
21 points in your traffic system that you anticipate
22 would arise during construction activities?

23 MS. HALL: Sheila Hall, for the
24 record.

25 So I know that there will be an

1 increase in traffic. With workers coming in and
2 out, there will be an increase with truck traffic.
3 That was not really part of my expertise.

4 We have the planners and the
5 engineers that we work with very closely that are
6 looking at those things.

7 MEMBER PEREIRA: Thank you.

8 So you're just anticipating a need
9 to do something about it rather than a concern
10 about the specific issue. Okay, I'll go on to
11 something else.

12 Many intervenors have raised
13 concerns about the appearance of having cooling
14 towers as a possible cooling option for condenser
15 cooling as opposed to once-through cooling which is
16 what is proposed by Ontario Power Generation.
17 Once-through cooling has its impacts in the aquatic
18 environment.

19 Is there preference among your
20 members for going with in-lake cooling?

21 MS. HALL: Sheila Hall, for the
22 record.

23 What we have come to a conclusion
24 on is that we have two nuclear plants in Durham
25 Region right now and they both have the same

1 landscape image and that there is a stigma attached
2 to the taller cooling towers. And we just feel
3 that from a visual perspective that to maintain the
4 models that we have now is probably preferable.

5 MEMBER PEREIRA: So it's a visual
6 impact in terms of environmental impact.

7 Our mandate is to look at possible
8 environmental impacts to seek to minimize the
9 impact on the environment of your region here. So
10 from your perspective, it's more the socioeconomic
11 visual impact that's a primary concern?

12 MS. HALL: Yes.

13 MEMBER PEREIRA: I note that you
14 talked about the response from the physicians
15 you've recruited and they raised no concerns about
16 health issues in your community, but what about the
17 people that worked in your area and for your -- the
18 employees of the companies that you -- are members
19 of your organization?

20 Is there any concern on their part
21 about hazards that might arise from having nuclear
22 generating stations in their area? Radiation,
23 waste, any concerns at all?

24 MS. HALL: Sheila Hall, for the
25 record.

1 Now, most of the people that I --
2 that I associate with professionally understand the
3 benefits and many of them have lived here for a
4 very long time and raised their children and I have
5 never -- very rarely heard concerns.

6 MEMBER PEREIRA: Thank you. Thank
7 you, Mr. Chairman.

8 CHAIRPERSON GRAHAM: Thank you,
9 Mr. Pereira.

10 Madam Beaudet?

11 MEMBER BEAUDET: Thank you, Mr.
12 Chairman.

13 At the end of your written
14 submission, the last paragraph you say that it is
15 difficult to quantify the economy cost with
16 emergency response to nuclear malfunction or
17 accident and you say that this analysis concludes
18 that it is entirely appropriate for the Darlington
19 EIS to omit quantifying base cost assessment
20 related to unlikely events of malfunction or
21 accidents.

22 We had several submissions here
23 that do complain that, first of all, what is
24 reserved, the amount that is proposed in the
25 *Liability Act* is too small. And second that it

1 should be the polluter or the responsible person to
2 pay and not the taxpayers.

3 Now, do you have in your
4 evaluation of different nuclear plants, come across
5 estimates and how was that calculated?

6 Because you do present several
7 factors that can influence the amount, but what
8 would be a reasonable amount that should be set
9 aside?

10 MS. YEREMIAN: Rosemary Yeremian,
11 for the record.

12 We looked at other assessments
13 that have been done for other proposed nuclear
14 plants and in none of the ones that we examined,
15 did we see any quantifiable outline of amount to be
16 put aside for a potential incident.

17 As well, the range of incidents is
18 very large as you can imagine from something very
19 small and minor to a Japan-like incident, which
20 would never happen.

21 A tsunami just would not happen in
22 Lake Ontario and the types of reactor design there
23 and the type of reactor design we have is very
24 different.

25 So I did find it appropriate that

1 the Darlington EIS omitted actual numbers and I
2 cannot comment on that.

3 MEMBER BEAUDET: Thank you. I'll
4 go to another subject.

5 It's interesting that you brought
6 about certain facts about Clarington's finances and
7 it is not necessarily, and that's my understanding
8 from your study, as sound financially as the EIS
9 says it is.

10 Do we understand well what you say
11 on page 10 of your analysis?

12 That there was certain factors
13 that were not considered, like, pollution control
14 plants, for instance, is not included in
15 these -- there are two projects, the Darlington and
16 Newcastle Water Pollution Plant. And also I think
17 the -- let me get it here. There is also another,
18 Port Darlington Project.

19 And this -- because it's deferred,
20 it's not taken into account, but it could have a
21 major impact on the finances of the municipalities;
22 is that correct?

23 MS. YEREMIAN: Rosemary Yeremian,r
24 for the record.

25 Yes, there were two projects that

1 were contemplated in the region, in the
2 municipality that were not taken into consideration
3 under the previous mayor's budget.

4 We now have a new mayor in the
5 Municipality of Clarington and I am not familiar
6 with the budget that they have, but those two
7 projects are a consideration.

8 I don't know whether it would have
9 a major impact, as you say, but it may have an
10 impact and it was just something we raised as an
11 issue to become -- to be aware of.

12 MEMBER BEAUDET: Thank you.

13 I would like to go to OPG because
14 it appears that this -- this could have an impact
15 on the sewer treatment facilities.

16 The EIS assumes that there is
17 capacity that is available for OPG, but if these
18 projects would go ahead, it wouldn't exist anymore,
19 so have you looked at plan B on there?

20 It's on page 10, "Municipal
21 Infrastructure and Service". The EIS notes that
22 sewage treatment facilities are located in
23 Bowmanville, Newcastle and Oshawa, and that there
24 is significant excess treatment capacity in all
25 three municipalities.

1 However, given that an expansion
2 of Port Darlington and Newcastle Water Pollution
3 Control Plants has been deferred in through 2012,
4 there is likely to be excess treatment capacity in
5 those municipalities and I would like to, how does
6 it affect your assessment?

7 CHAIRPERSON GRAHAM: Ms. Swami?

8 MS. SWAMI: Laurie Swami, for the
9 record.

10 I believe your question is whether
11 or not there would be sufficient capacity at the --
12 for sewage treatment for OPG in future and OPG has
13 been working with the Durham Region to establish a
14 sewage treatment capacity in support of our
15 operations, whether it's through the new Clarington
16 Energy Centre Facilities that will be built.
17 Whether it's for the existing site, which has
18 a -- currently has a sewage treatment plant on
19 site.

20 We will be moving to usage of the
21 municipal sewage system and eliminate that plant.
22 And whether it's to deal with the new nuclear and
23 we've been working with the region and have
24 established a program to ensure that there will be
25 sufficient capacity for our facilities in the

1 future.

2 MEMBER BEAUDET: Thank you.

3 I would like to go back to what I
4 believe is table 6. I don't know what slide it is
5 because there is no number here. It's on page 21.

6 I would like to understand a bit
7 about the figures here because they vary a great
8 deal and you consider that for OPG, your comment is
9 that they have underestimated what the gross
10 domestic products can be, but then you say that
11 your estimation on business activity during
12 operations, then, would be appropriate, but here
13 it -- this table covers the construction phase.

14 You're saying that there would
15 probably be more money in the community at the
16 construction phase, is that what I should
17 understand?

18 MS. YEREMIAN: Rosemary Yeremian,
19 for the record.

20 Yes, that is correct. Compared to
21 the other socioeconomic impact studies that have
22 been conducted in the past seven years, eight
23 years, that is correct.

24 MEMBER BEAUDET: And this
25 assessment is completely independent from what OPG

1 would do. I mean, this would be new -- the normal
2 numbers that we should expect.

3 MS. YEREMIAN: Rosemary Yeremian,
4 for the record.

5 Yes, there were three independent
6 studies done by Canadian sources into the
7 socioeconomic impacts of an unspecified nuclear
8 reactor, too, by the Canadian Energy Research
9 Institute, and one by the Conference Board of
10 Canada.

11 MEMBER BEAUDET: My last point is
12 on table 4. Why is there such a difference in
13 these series studies of 2003 and 2008?

14 MS. YEREMIAN: Rosemary Yeremian,
15 for the record.

16 In 2003 my understanding is that
17 CERI did an overview of the socioeconomic impacts.
18 In 2008 they were asked to refine their study,
19 update their study, and we had additional
20 information on the supply chain of nuclear in
21 Canada after the Chinese units were -- the CANDU
22 Qinshan units were built in China.

23 So at that time, in 2008, CERI was
24 asked to go in further depth into the supply chain
25 of the Canadian nuclear industry and conduct a more

1 fulsome analysis of the socioeconomic impacts
2 related to new nuclear builds in Canada.

3 MEMBER BEAUDET: So there would be
4 a defect with the choice of technology? These
5 numbers could vary depending on whether it's built
6 in Canada or outside?

7 MS. YEREMIAN: Rosemary Yeremian,
8 for the record.

9 In my experience and in my --
10 based on my understanding, yes there would be a
11 difference in socioeconomic impacts if it was a
12 Canadian reactor versus a foreign reactor.

13 MEMBER BEAUDET: I'd like to go to
14 OPG. You did mention that there's a possibility to
15 go to another technology like Westinghouse.

16 How do you react to these numbers,
17 then, if they're -- most of the components are
18 coming from outside?

19 MR. SWEETNAM: Albert Sweetnam,
20 for the record.

21 All the foreign vendors have
22 indicated that they would concentrate on increasing
23 and maximizing both the Canadian content as well as
24 Ontario content.

25 In the nuclear industry, a lot of

1 the parts that are supplied are -- they're supplied
2 specifically for the nuclear industry, and they
3 have to have a certain end-stamp on them. And
4 there's a certain process associated with that
5 manufacturing process. This would be applicable to
6 any technology.

7 The Canadian nuclear industry that
8 presently supports CANDU can be quite quickly
9 retooled to support a different type of reactor,
10 because the most important thing in this sort of
11 manufacturing is basically your quasi control
12 systems and the quasi program that you have in
13 place.

14 We anticipate that a foreign
15 vendor would be able, perhaps not to give
16 equivalent Ontario and Canadian content, but
17 certainly competitive Canadian and Ontario content.

18 MEMBER BEAUDET: To your
19 knowledge, has the government imposed a percentage
20 of Canadian content for this project?

21 MR. SWEETNAM: Albert Sweetnam,
22 for the record.

23 There is no imposition at the
24 moment of Canadian or Ontario content. There is
25 some concern that it would be outside of some of

1 the trade regulations.

2 Obviously in any competitive bid,
3 the amount of local content that you have would be
4 a factor in the evaluation; however, it's not
5 mandated.

6 MEMBER BEAUDET: Thank you. Thank
7 you, Mr. Chairman.

8 CHAIRPERSON GRAHAM: Thank you,
9 Madam Beaudet.

10 I just have two questions. As
11 you're aware, this is our 14th day of hearings, and
12 there's been a lot of concern -- or not a concern,
13 but -- yes, it's a concern, but a lot of
14 interventions expressing concern with regard a
15 couple things, and a couple of the issues I want to
16 address.

17 One is the agricultural issue
18 that's come up on several occasions about testing
19 of crops and so on, which OPG has explained what
20 they do and so on.

21 But I noticed you had -- you have
22 a strong agricultural industry, which is part of
23 your -- which is part of your board of trade, and
24 you even have an agricultural advisor on that.

25 In your membership, in your

1 agricultural membership, has there been any
2 expression of concern with regard to a nuclear
3 plant being so close to major crop productions that
4 are in this area? Have you had any -- has any of
5 your membership voiced these concerns?

6 MS. HALL: Sheila Hall, for the
7 record.

8 No, they haven't. I do know that
9 there is an agricultural committee set up by
10 council, and they meet regularly and certainly are
11 not afraid to voice their opinion when they need
12 to. So I have not heard anything through my
13 office.

14 CHAIRPERSON GRAHAM: The second
15 question I have is with regard to interventions.

16 There has been a lot of discussion
17 around reports and -- and so on, of -- of
18 illnesses, cancers and so on, in relation to the
19 vicinity of nuclear power plants, whether they be
20 in Europe or whether -- wherever they are, that
21 some of these studies were coming out of Europe and
22 so on.

23 And I'm wondering, have you -- has
24 your membership had any opportunity -- I know
25 you're an economic-based organization, but we have

1 to look at both sides.

2 Have you had any -- any of your
3 membership voice concerns and so on with regard to
4 the vicinity of a nuclear power plant and -- and
5 the possible health effects on -- on the residents
6 of your communities?

7 MS. HALL: Sheila Hall, for the
8 record.

9 Again, no, we haven't -- we
10 haven't heard a lot about health concerns.

11 As I mentioned, we're very
12 connected to the medical community with doing
13 physician recruitment, and even within that group
14 of people, we have not heard a lot of concerns.

15 Actually to the contrary, we hear
16 that we need the baseload power from a healthcare
17 perspective, and so they're very supportive.

18 CHAIRPERSON GRAHAM: The only
19 other question I have is acceptance. I don't --
20 probably you don't do polling, but do you have any
21 statistical information about acceptance versus
22 opposition? You represent 90 some thousand, I
23 think it is, or whatever the figures were.

24 Regardless, in your economic area,
25 has there been any type of statistical gathering to

1 see support versus opposition for such a facility?

2 MS. HALL: Sheila Hall, for the
3 record.

4 In the last few years we have done
5 some membership surveys and some -- because we have
6 a couple of different pillars in our organization
7 we not only service the 300 members we have, we
8 service the entire business community by sector.

9 So we have sent surveys out to
10 them, the question we have asked more directly is,
11 do you support the new nuclear and the Board of
12 Trade's role in helping move that forward.

13 And we have seen strong numbers
14 saying that, yes, that's something we should be
15 participating in.

16 CHAIRPERSON GRAHAM: Okay. Thank
17 you very much.

18 Now, we'll go to the next process
19 in our hearings. Mr. Pereira, you have nothing
20 else? No.

21 We will now to go OPG. Do you
22 have any questions on the presentation by the
23 Clarington Board of Trade?

24 MR. SWEETNAM: Albert Sweetnam.
25 No questions. Thank you.

1 CHAIRPERSON GRAHAM: CNSC, do you
2 have any questions.

3 MR. HOWDEN: Barclay Howden. No
4 questions.

5 CHAIRPERSON GRAHAM: Government
6 departments or organizations within departments?
7 No. And intervenors from the floor? Very good
8 then. Well, thank you very much.

9 Well, that terminates or is the
10 end of your presentation. We thank you very much
11 for coming this morning, Ms. Hall, and your -- the
12 group that you have along with your consultant, and
13 also the members that have come, members of your
14 Trade that aren't at the table that have come also
15 to support your organization. We thank you very
16 much and thank you for your input.

17 With that I'm going to declare a
18 15-minute break and the Chair will resume at 10:55.

19 Thank you very much.

20 --- Upon recessing at 10:40 a.m. /

21 L'audience est suspendue à 10h40

22 --- Upon resuming at 10:56 a.m. /

23 L'audience est reprise à 10h56

24 CHAIRPERSON GRAHAM: Welcome back
25 everyone, and we will proceed to the next item on

1 the agenda, which is an oral statement by the
2 Provincial Council of Women of Ontario.

3 And I'll remind everyone that only
4 panel members will be allowed to ask questions
5 after each oral statement.

6 And I believe this one is going to
7 be done by telephone conference, and, Ms. Janes,
8 are you there?

9 MS. JANES: Yes, I am.

10 CHAIRPERSON GRAHAM: Well, welcome
11 and welcome to the hearings of the Joint Review
12 Panel and you may proceed.

13 --- PRESENTATION BY MS. JANES:

14 MS. JANES: Yes. My name is
15 Gracia Janes and I'm the Environmental Convenor
16 Vice-President for the Provincial Council of Women
17 of Ontario.

18 The Provincial Council of Women of
19 Ontario representing many thousands of Ontarians --
20 we are 11 provincially-organized societies and six
21 local councils of women affiliated members -- is
22 pleased to have an opportunity to speak to this
23 environmental assessment panel today.

24 Our views are supported by the
25 National Council of Women of Canada established in

1 1893, which represents many more thousands of
2 Canadians in four of the five nuclear cycle
3 provinces, i.e., Saskatchewan, Quebec, Manitoba and
4 Ontario, plus Alberta where Bruce Power has been
5 promoting the use of nuclear power lately.

6 We note that PCWO is not a single-
7 issue organization, but has over the past 88 years
8 democratically developed policies on a very wide
9 diversity of subjects of concern to the general
10 public such as health, economics and environment
11 and social justice, from which we've developed
12 briefs such as this one.

13 PCWO and NCWC have expressed
14 concerns with the risks, huge costs and
15 environmental and public health impacts of nuclear
16 power to all levels of government and many boards,
17 agencies, commissions and standing committees since
18 we first questioned the potential dangers of atomic
19 power in 1955.

20 For instance, in 1996 and '97, we
21 presented to the Seaborn Commission Environmental
22 Assessment Panel on Atomic Energy of Canada's
23 nuclear fuel management and disposal concept for
24 burial of high-level nuclear waste in the Cambrian
25 Shield.

1 As noted in the panel's final
2 report of February, 1998, PCWO stated:

3 "The public at the end of
4 phase II technical hearings
5 was left with a feeling of
6 grave unease. The best that
7 could be said in favour of
8 the AECL's concept was stated
9 by SRG, that it could, might,
10 should be doable."

11 PCWO also took part in NWMO's 300-
12 year adapt a phase management approach
13 consultations and between 2007 and 2008, we were an
14 intervenor in the Ontario Energy Board hearings on
15 Ontario Power Authority's integrated power system
16 plan, with the responsibility before the hearings
17 were postponed to bring an expert witness regarding
18 the lifecycle costs and risk of nuclear waste
19 management.

20 Our witness was to be Marvin
21 Resnikoff, a foremost nuclear waste management
22 expert in the United States.

23 In 2008, PCWO commented to the
24 Ontario Drinking Water Advisory Committee on the
25 need for Ontario to update its regulatory standards

1 for releases of trituated water to reflect the
2 1994 recommendations of the Advisory Committee on
3 Environmental Standards, that these be reduced from
4 7,000 becquerels per litre to 20 becquerels per
5 litre by 1999.

6 And in 2010 we commented to CNSC
7 regarding the Bruce Power licence application to
8 transport radioactive steam generators from the
9 Bruce site to Sweden and on -- to Sweden.

10 Initially, we felt strongly that
11 these hearings should be delayed because the
12 following concerns and questions we had such as our
13 uneasiness that the recent CNSC approval of the
14 Bruce transport of radioactive steam generators,
15 that according to Bruce statements from the 2006
16 environmental assessment, were too dangerous to
17 move off site.

18 The uncertainty re: the ability
19 to isolate the nuclear waste from the public and
20 the environment for an extraordinarily long time
21 while the international regulatory agencies
22 themselves seemed to be hesitantly just beginning
23 to develop uniform precautionary safety standards.

24 For example, CNSC's Ms. McGee
25 noted that we do participate on international

1 working groups and one of the working groups is
2 Geosafe through the International Atomic Energy
3 Agency and this is a three-year project to develop
4 international practices and standards through
5 demonstrating geological repository safety, March
6 31st, page 101.

7 The absence of Ontario Energy
8 Board approval of the long-term energy plan which
9 of course would verify the fiscal prudence of new
10 nuclear plants, the uncertain time span before
11 NWMO's 300-year adapted phase management plan finds
12 a willing host, determines the geology is sound and
13 again is receiving existing nuclear fuel waste from
14 the nuclear plant onsite storage ponds and dry
15 storage. There are also questions as to how new
16 nuclear waste will fit into this timeframe.

17 The claim by the nuclear industry
18 in ads, literature and presentations that nuclear
19 is safe, clean and green, when there's considerable
20 evidence to the contrary.

21 We note Bruce Power's assurances
22 that worker safety is important, yet over 200
23 workers who were disassembling reactors at the Bruce
24 had been tested after inhaling alpha radiations
25 doses which will seriously affect their health over

1 several years.

2 The uncertainty of the EA approval
3 of the OPG's proposed ecological waste repository
4 for existing low and intermediate-non-nuclear fuel
5 wastes on the Bruce Western Management site, given
6 it's location near Lake Huron, the drinking water
7 source of millions of people, and the very strong
8 opposition on both sides of the border.

9 The definition of a willing host
10 community and the use of jobs and financial
11 incentives to attract them should a community be
12 considered a willing host community for either
13 NWMO's repository or OPG's at the Bruce site, given
14 that the willing host community such as Kancardine
15 have been promised, by agreement, \$35 million over
16 30 years plus jobs to sign on.

17 The uncertainty of AECL's future
18 and type of reactor to be selected and sited most
19 of which are in the design stages.

20 The absence of federal insurance
21 legislation to cover the enormous cost of a single
22 nuclear incident arising from human error,
23 earthquake, loss of power to generators, transport
24 accidents or malevolent intent.

25 The insurance requirement is only

1 \$75 million per incident, which is not even near
2 what the actual cost could be and far below the
3 suggested level of \$650 million in Federal Bill C-
4 15 and the \$1 billion suggested by the insurance
5 industry.

6 Public unease regarding the
7 population density near both Darlington and
8 Pickering which continues to increase and the need
9 for the very worst case precautionary approach to
10 such things as evacuation, interruption of
11 businesses, schools, social services, as now in
12 evidence in Japan.

13 Question around where any new
14 nuclear waste fits into all phases of the 300-year
15 adopted phase plan.

16 The dangers of keeping nuclear
17 waste onsite for a protracted period of time and
18 the repetitive nature and increasing magnitude of
19 earthquakes along the fault lines at both Pickering
20 and Darlington sites.

21 The expansion of NWMO's search for
22 a safe high-level nuclear waste repository to the
23 ore division sedimentary formations and OPG's
24 determination to site a deep geological site for
25 the low and intermediate-non-fuel nuclear waste in

1 these formations, this despite the warnings of
2 Geosafe in the study for NWMO that the ore division
3 shales of the Michigan basin have physical
4 properties that can undergo significant alteration
5 with low or moderate changes in moisture,
6 temperatures or stress.

7 This is confirmed by J. Robert
8 Janes, author of *Geology and the New Global*
9 *Tectonic* who noted that these shale formations can
10 creep.

11 Most crucially and dramatically,
12 public awareness worldwide of the need to observe,
13 document, learn and react in a precautionary way to
14 the final outcomes of the magnitude 9 earthquake,
15 the tsunami and reactor meltdowns in Japan.

16 However, in observing the
17 excellent precautionary presentations today from
18 independent environmental experts and the in-depth
19 questions of this panel, we feel it is in the
20 public interest for the panel to take this
21 opportunity to very closely note and query the
22 adequacy of the information OPG and supporters are
23 putting forward, and in your deliberations to
24 carefully consider, as the Seaborn Panel did to
25 AECL's application in 1998, turning the application

1 down at this time as premature.

2 We reference the Seaborn Panel
3 since what has come before this panel so far is a
4 déjà vu experience for PCWO.

5 Today the information provided to
6 you by the Proponent is similar to that which AECL
7 and its supporters presented to the Seaborn Panel.

8 It is often of a general nature.
9 It leaves a great deal out and asks the panel to
10 have trust and, again, it is self-serving.

11 A general, but important example
12 of this latter point is to be found in Mr. Nash's
13 truncated explanation of the Seaborn final
14 recommendation from its 10-year hearing.

15 While he stated correctly that
16 AECL's proposed burial and containment of nuclear
17 waste in the Cambrian Shield was theoretically
18 doable, that society wasn't convinced. He
19 incorrectly stated that the panel recommendations
20 were largely incorporated into the 2002 *Nuclear*
21 *Fuel Waste Act*.

22 What he left out was telling,
23 i.e., the panel's findings that independent social
24 science information and determination should be a
25 part of the plan and its recommendation that a

1 nuclear fuel waste management agency be established
2 quickly at arm's length from the utilities of AECL
3 with the sole purpose of managing and co-ordinating
4 a full range of activities.

5 The panel also drew attention to
6 numerous scientific flaws and recommended to a
7 future management agency, that they review all
8 social and technical shortcomings identified by the
9 scientific review group and other review
10 participants, 125 by our count at the time.

11 PCWO notes that even after AECL
12 spent over \$700 million on research at Whiteshell
13 and then its consultation costs to prove its second
14 concept, they failed to convince the panel which
15 noted that we are very concerned about the number
16 and nature and importance of the scientific
17 uncertainties.

18 We're also concerned about the
19 specific shortcomings in the AECL proposal that
20 many eminent scientists identified.

21 This panel has as much the same
22 task as the Seaborn Panel, the review of a concept,
23 only that panel -- only that panel had 10 years at
24 its disposal which allowed a very thorough testing
25 of what AECL assured us was safe, but which the

1 panel found wasn't proven.

2 In contrast, this panel's time
3 frame is short, but if you continue to listen
4 closely to independent scientists, ask probing
5 questions and use the precautionary principle, it
6 is not impossible for you to determine if there is
7 really enough in-depth and inclusive information to
8 allow the proposal to go forward.

9 The kind of underlying questions
10 we would like to see answered thoroughly should, in
11 general, be does the information repeat past trends
12 such as drawing support from and cross-referencing
13 various pro-nuclear agencies and organizations and
14 downplaying the information from independent
15 scientists?

16 For instance, as we noted earlier,
17 is it satisfactory for OPG and CNSC staff to say
18 all is well because we in the nuclear scientific
19 community are working on this?

20 We note Panelist Pereira's
21 question on April 1 regarding barriers between fuel
22 and the environment, barriers that would stand the
23 test of time in terms of resisting corrosion or
24 whatever breakdown mechanisms containing
25 radioactive elements that are in the fuel, and Mr.

1 Howard's answer that, "CNSC participates
2 extensively in international groups that are
3 examining deep geological deposal. There are a lot
4 of issues around the integrity of the fuel when
5 it's placed in a repository, how it's going to
6 interact over decades or centuries or beyond" --
7 March 29.

8 Why are the proponents, regulators
9 and various ministries seemingly stuck in a time
10 warp when giving safety assurances to public
11 health, worker and environmental protection on
12 nuclear matters?

13 For instance, until recently
14 regulatory -- excuse me, I'm -- I'm lost here --
15 regulatory agencies and the nuclear industry used
16 the standard man as a point of reference for
17 exposure to radioactivity and failed to take into
18 consideration gender, age and ill health.

19 And at the Seaborn Commission's
20 hearing, the proponents assured PCWO that it was
21 okay to use Canada's 1975 standards for
22 radioactivity when Europe had moved to 1991
23 standards, and we were preparing at that time to
24 tighten up further.

25 Have the proponents taken into

1 the fatal first step backwards towards another
2 nuclear future of added waste, cost and
3 considerable risk.

4 We would respectfully recommend
5 that before rendering a decision, the panel satisfy
6 itself that there is an urgent need to give its
7 approval.

8 If this is not the case, we urge
9 you to declare that the application is premature as
10 there is not enough evidence to prove its merits.

11 Thank you.

12 CHAIRPERSON GRAHAM: Well, thank
13 you very much, Ms. Janes.

14 I'll open the floor now to
15 questions and I'll go to my colleague, Madame
16 Beaudet.

17 --- QUESTIONS BY THE PANEL:

18 MEMBER BEAUDET: Thank you, Mr.
19 Chairman.

20 You did say that your organization
21 participated when there was a panel to review -- to
22 study, rather, how waste management should go. You
23 didn't -- you did bring up the fact that the major
24 concern is the long-term isolation.

25 I'd like to hear from you, from

1 your organization, what are the other aspects
2 concerning waste that you feel should be
3 considered?

4 MS. JANES: Well, we -- we are
5 really -- we are quite concerned about the costs
6 and they seem to be very much downplayed in all of
7 the estimates.

8 Our nuclear waste expert that we
9 had engaged -- one of the issues he was following
10 was the extraordinary leap in costs. He mentioned
11 the Yucca -- Yucca Mountain site and a lot of it, I
12 think, related to cost. It's just enormous costs
13 for this.

14 The other thing is really to keep
15 it -- how does one even envision keeping this waste
16 away from the public in the future? And we're
17 very, very worried also about the geology that's
18 involved in it and, at that time, it was -- the
19 AECL brought a proposal forward and I'm trying to
20 remember the particular containers, but it wasn't
21 copper.

22 And towards the end of the
23 hearing, they had to bring in another -- having
24 done all this research up to that point, most of
25 the money was spent before they brought this

1 forward, and they brought forward the copper
2 encasing.

3 And even though they seemed to
4 have a lot of information, both of the scientific
5 review committees, the one that was their own that
6 belonged to the panel and the other was an
7 independent, the Royal Society, a lot of them
8 pointed to an awful lot of flaws in this.

9 So having spent all that money and
10 all that science and we still didn't -- we don't
11 have a solution.

12 And now they're repeating some of
13 the errors that they were chastised for by the
14 Seaborn Panel such as offering jobs. This happened
15 the first time around.

16 Over a 10-year period, they were
17 offering jobs to the First Nations up north. They
18 were doing all of this and that's always a big
19 lure, the job, and so they asked them also in one
20 of the recommendations to start over with their
21 public consultation.

22 Now, we'd been part of that and we
23 found it to be rather nebulous again, rather
24 superficial, a lot of emails and a lot of emails
25 from the same people. The meetings were not

1 documented as to who said what. It was just all in
2 groups.

3 And then at one point in one of
4 the meetings, we had one of the -- one of the
5 people who was part of our group put things on the
6 -- on the -- reported incorrectly this way and we
7 had to make changes, so it wasn't really a public
8 consultation. It was sort of a PR -- PR thing, so
9 I hope that answers your question.

10 MEMBER BEAUDET: Yes, thank you.
11 Thank you, Mr. Chairman.

12 CHAIRPERSON GRAHAM: Thank you,
13 Madame Beaudet.

14 Mr. Pereira?

15 MEMBER PEREIRA: Thank you, Mr.
16 Chairman.

17 I'll start with CNSC staff. And
18 the intervenor commented on the fact that the IAEA
19 is developing a guide or a standard on long-term
20 management of used fuel waste.

21 Can you give us some information
22 on what that initiative is about and what is
23 available?

24 MR. HOWDEN: Barclay Howden
25 speaking.

1 I don't have the time scale, but
2 I'll endeavour to get that.

3 But the initiative is to provide
4 international guidance to countries for the long-
5 term management and disposal of radioactive waste.

6 A lot of the work is built on
7 international research that the IAEA has been
8 either sponsoring or the NEA, the Nuclear Energy
9 Agency, has been doing and I believe the intervenor
10 had referred to one Geosafe, but there's a couple
11 of other international ones that Canada is
12 contributing to.

13 And the intent is to provide
14 international guidance so that countries can adopt
15 the guidance as opposed to having to develop it
16 themselves because there's major research efforts
17 and any individual country can contribute to it,
18 but all the countries contributing to it actually
19 gives you better information.

20 I'll have to talk to our waste
21 people and let you know what the timing is. I
22 should be able to provide that after lunch. We'll
23 just contact them for that.

24 MEMBER PEREIRA: Thank you for
25 that brief overview.

1 As far as Canada is concerned,
2 does the CNSC or other organizations in Canada have
3 guides or policy documents or standards that relate
4 to long-term management of nuclear waste?

5 MR. HOWDEN: Barclay Howden.

6 Yes, the government of Canada has
7 a 1996 policy on all waste types, not just the
8 long-term management of waste.

9 Additionally, the CNSC has three
10 guides out. One is called N294, which is the
11 storage of used fuel, which is intended for long-
12 term management of fuel before a disposal option is
13 found.

14 Related to that is the requirement
15 for financial guarantees, which is guide G-206.
16 And also we have a guide 219, which is preliminary
17 decommissioning plans which talk about
18 decommissioning, but when you decommission, you are
19 generating waste.

20 So there's guidance in there on
21 that -- the waste within the primary
22 decommissioning plan. Long-term management of
23 waste, whether it's below, intermediate, or high
24 level needs to be accounted for.

25 MEMBER PEREIRA: And all of these

1 documents that you refer to, are these internal
2 CNSC documents, and can you go into -- outline how
3 they are developed and whether they're available in
4 -- for public review?

5 MR. HOWDEN: Barclay Howden
6 speaking.

7 Two of the documents, G206 and
8 G219, are CNSC documents which are available on our
9 website. They were developed quite a long period
10 of time ago, but they would have went through a
11 public consultation process where the public would
12 have had an opportunity to comment.

13 Comments would have been
14 dispositioned, and then the commission would have
15 reviewed those -- the documents and the disposition
16 of the comments and the comments.

17 N294 is a CSA standard, the
18 Canadian Standards Association, so that would have
19 been developed within a broader audience in terms
20 of industry, academia, and the CNSC would have been
21 involved in that.

22 Those documents, the CSA
23 documents, although they're developed by a broader
24 group, for the CNS -- the CNSC in the end needs to
25 be satisfied that those documents are satisfactory

1 for regulatory use.

2 MEMBER PEREIRA: Thank you very
3 much.

4 Now, back to the intervenor, Ms.
5 Janes, just a couple of points concerning some of
6 the comments you made.

7 I believe you commented on the
8 unease in the population around the generating
9 facilities about the development of these
10 facilities.

11 We have had a number of
12 intervenors from the community, and, in fact, this
13 morning, we had a number of intervenors primarily
14 from the vicinity of Darlington and Pickering, and
15 they generally expressed no concerns about the fact
16 that these facilities were in their communities.

17 So that was the sort of feedback
18 we're getting, and that has been the general theme
19 of other intervenors who have come before us from
20 the community. Maybe from further field there is
21 concern about these facilities.

22 And another comment concerning the
23 standard -- the standard man used for radioactive
24 dose estimates, that has been an issue raised by
25 many intervenors.

1 And in responses over the past few
2 days, we have had the regulators, the Canadian
3 Nuclear Safety Commission, stating that the
4 practice now is not to use the standard man but to
5 -- the indoors estimates to consider the age and
6 gender of the the person receiving the dose.

7 I'll go back to CNSC to confirm
8 the fact that I am capturing what they are saying
9 correctly.

10 MR. HOWDEN: Barclay Howden
11 speaking.

12 I'd just like to make one
13 correction before I start. The CSA standard is
14 N292, Interim Long-term Storage of Radiated Fuel.

15 And, yes, Dr. Thompson spoke to
16 this yesterday where the standard man, which was a
17 very old standard, focussed on workers when most of
18 the workers were men. Now the -- the models use
19 infants, children, teens, and adults, both men and
20 women, to do the assessments.

21 MEMBER PEREIRA: Thank you very
22 much. Thank you, Mr. Chairman.

23 CHAIRPERSON GRAHAM: Thank you
24 very much, and, again, Ms. Janes, thank you very
25 much for your telephone conference and your oral --

1 your oral presentation this morning.

2 MS. JANES: Not to interrupt, Mr.
3 Graham. I thought that the panel member asked a
4 question of me through you?

5 CHAIRPERSON GRAHAM: My
6 understanding was that he was addressing your
7 statement from the ---

8 MS. JANES: Oh.

9 CHAIRPERSON GRAHAM: --- from the
10 observations given over the last several days with
11 regard to general acceptance by the population and
12 with regard to health studies that have now been
13 broadened. That was my understanding. He was
14 referring to you but not asking a question.

15 MS. JANES: Would I be able to
16 answer those questions even though they were not
17 addressed to me, as a final?

18 CHAIRPERSON GRAHAM: The rules say
19 no, but I'll say yes.

20 MS. JANES: Oh, thank you very
21 much.

22 CHAIRPERSON GRAHAM: But very,
23 very briefly, please.

24 MS. JANES: I knew you would. I
25 was watching you.

1 Yes. I guess the point we were
2 trying to make was that the regulations and the
3 standard drag, you'll notice the dates on quite a
4 few of them, and I imagine that now for the
5 standard man and changing to where it should have
6 been changed just -- is just very recent as well.
7 And for years and years, we've been going with the
8 standard.

9 As to the people in the various
10 communities who don't -- don't have a problem, I
11 have met -- there was group in Durham who was
12 certainly concerned about the nuclear in Pickering,
13 and usually in issues such as this, we found in
14 other environmental issues the jobs seem to trump
15 everything, and so that's my final word.

16 Thank you.

17 CHAIRPERSON GRAHAM: We thank you
18 very much for your presentation and also for your
19 observations on panel member's responses. Thank
20 you very much.

21 MS. JANES: Thank you.

22 CHAIRPERSON: And with that, in
23 light of the morning and the time that we're at
24 right now, I think that we'll be able to alter the
25 agenda just a little bit.

1 And my understanding is that Ms.
2 Dianne Knight has agreed to make her presentation
3 this morning instead of this afternoon.

4 And, again, Ms. Knight was to and
5 will be doing it by telephone conference along with
6 Curtis Bennett, and my understanding -- just a
7 moment now. Ms. Knight's intervention is found in
8 PMD 11-P1.244 and PMD 11-P1.244A.

9 So technically, Ms. Knight, are
10 you on the phone?

11 MS. KNIGHT: Yes, I am, Mr.
12 Chairman.

13 CHAIRPERSON GRAHAM: Well, thank
14 you very much, and welcome to CNSC -- not CNSC,
15 pardon me, Joint Review Panel review of the
16 Darlington New Build, and you are now on the
17 agenda, and you can proceed with your presentation.

18 --- PRESENTATION BY MS. KNIGHT AND MR. BENNETT:

19 MS. KNIGHT: I would like to
20 introduce my co-presenter, Mr. Curtis Bennett.

21 CHAIRPERSON GRAHAM: Yes, go
22 ahead. I did mention him perhaps before you were
23 hooked up, but go ahead. So you do your
24 introductions, and the floor is yours.

25 MS. KNIGHT: Curtis, would you

1 like to introduce yourself at this point, please?

2 MR. BENNETT: Yeah. I want to
3 first thank you very much for allowing us on such
4 short notice to present for you.

5 Just to let the panel know that my
6 background is I have a building engineering
7 background, and I also have a separate education
8 with provincial and national credentials in
9 electrical energy provision to building to
10 development. So and what that means theoretically
11 is, you know, my professions actually calculate
12 those energy uses that are required for building
13 development and for industry.

14 Now, what I did differently on top
15 of that is I actually built that double education
16 to compliment an extensive background in infrared
17 technology, which just allows us to see temperature
18 accurately in the infrared spectrum.

19 And as we present some of this
20 information, I'm sure that some of you are going to
21 feel a little bit blind-sided, but do this with the
22 understanding that, you know, at the world's
23 academia, although we consider temperature in
24 everything we do, building development is signed
25 off as compliant.

1 Even though that very important
2 law originates with Environment Canada --
3 Environment Canada's contribution through buildings
4 codes, so we -- so we use energy responsibly.

5 And I'm going to be just helping
6 Dianne here explain to you as we move forward here
7 how we found a very serious problem, not just with
8 Canadian buildings, but with development as a whole
9 that just couldn't be seen before, and we're using
10 a lot of energy.

11 And when I say a lot of energy,
12 I'm talking billions and billions of dollars, and
13 probably enough even to meet Kyoto's protocol and
14 just this waste that we're employing, reacting to
15 the symptoms of buildings being radiated by the
16 same sun that burns our skin. And even though
17 Building Code covers this, again, we couldn't just
18 see it before.

19 So we're going to be showing you
20 some accurate temperature information. And, again,
21 my point in bringing this information forward is
22 never to take away from what you're trying to do,
23 but developing new energy sources while we're
24 employing this incredible energy waste that you
25 just aren't aware of just needs to be brought to

1 your attention so that -- so that you can do your
2 most important job.

3 MS. KNIGHT: Thank you. That was
4 excellent.

5 Slide one. Darlington Nuclear.
6 If true costs and safety risks for all future
7 generations are actually incalculable. Slide two.
8 Let us see a new green perspective.

9 David, are we on slide three?

10 Dear panel members, I thank you
11 for the wonderful privilege granted to me to speak
12 today, and as of yesterday, allowing Curtis on this
13 presentation with me.

14 I asked the question of the panel
15 what would happen if you could see where you have
16 never seen before, where energy is being lost and
17 when we implement safe, economical, sustainable,
18 new conservation methods for our building, turn
19 around the future of Ontario, seizing the
20 opportunity to become a world leader with a tiny
21 footprint?

22 Slide 6, David, please.

23 Let's take a look. Go ahead,
24 Curtis.

25 MR. BENNETT: Okay. When we talk

1 about solar EMS causing global warming in the
2 winter, now what she talks about there is just
3 something I've posted in general that urban heat
4 islands are something that cost the world a
5 tremendous amount of money in an energy response.

6 But we couldn't see what was
7 actually causing an urban heat island and when we
8 were asked to take on this incredible temperature
9 challenge, they knew that urban heat areas were
10 slightly warmer.

11 What they couldn't qualify is that
12 each and every building was, in effect, being
13 radiated by electron. And when I say "radiated" I
14 want to be very careful because this isn't the same
15 thing that's going on in Japan. We're talking
16 about being radiated by solar EMS.

17 Now, the same way that that sun
18 burns our skin, you know, Environment Canada passes
19 on this incredible contribution to building codes
20 where they tell us, "Here's your design criteria in
21 your specific area and you will design and insulate
22 and put in your building systems to accommodate
23 these specific temperatures".

24 And even Environment Canada takes
25 it further where it says to us as builders, "Watch

1 out for solar radiation because it can be more
2 significant than design criteria".

3 And what you're going to see with
4 this slide and this information that's available to
5 you is that even in the wintertime, here I am on a
6 minus four degree Celsius day in Kelowna, British
7 Columbia. I'm picking up building skin
8 temperatures as high as 60 and 70 degrees Celsius
9 without emissions being produced.

10 Now, in the summertime, the
11 saddest part about this is that because the UV
12 index is stronger, we're closer to the sun. We're
13 actually responding to the symptoms of these
14 buildings being radiated with something called air
15 conditioning. And air conditioning, as you're
16 going to find out, is air conditioning is, in fact,
17 refrigeration.

18 It's a very nice trade name, but
19 it is refrigeration and even as a builder, I've got
20 to tell you -- and an energy provider -- this
21 information contradicted my own education because
22 we never thought about putting heating and air
23 conditioning or refrigeration in the same
24 application.

25 Okay, so then I'll just move

1 forward with the slides here, but what they're
2 talking about here is that, you know, even though I
3 did this for the United States where we did studies
4 in 26 states and 7 provinces and 7 countries to
5 show that buildings, as a rule, were being radiated
6 by these EMS from the sun.

7 And again, imagine avoiding this
8 with a coat of paint. Imagine avoiding this with
9 shade that we just couldn't see before.

10 And again, I'm not here to be
11 commercial in any aspect of this because this is my
12 area of expertise, but to see building codes signed
13 off at the end of the day saying, okay, we're all
14 going to pick up liability for this even though we
15 don't know what the heck is going on and we just
16 couldn't see it.

17 So one of the examples that
18 they're talking about here is imagine this, the
19 City of Los Angeles uses over \$100 million a year
20 in energy cost emissions of burning coal and all
21 the above reacting to their buildings being
22 radiated when they could have been painted and
23 employed proper finishes in the very beginning and
24 caught them before this became a warranty issue for
25 taxpayers.

1 And so I'm going to just proceed
2 actually to Slide Number 6 now and I want to show
3 you an image here. Now, David, are we on Slide
4 Number 6? Do I have to say that every time or are
5 we okay?

6 CHAIRPERSON GRAHAM: We are
7 following you and you are on Slide 6.

8 MR. BENNETT: Okay, good, Slide
9 number 6.

10 Now, what you're going to see here
11 and again, you're going to see these slides and I'm
12 actually going to look forward to showing you more
13 information, but you're going to see a temperature
14 scale to the right of the slide for each of the
15 infrared images.

16 Now, what we did is we started
17 solar radiation experiments first thing in the
18 morning because we wanted to see how fast it was
19 interacting with buildings or if, in fact, it was
20 interacting with buildings because if you reflect
21 these EMS, they're harmless, but if they get a
22 chance to interact with something, they can be very
23 dangerous.

24 And what you're going to see in
25 this first slide here is we started at 6:53 in the

1 morning and the buildings are fluctuating with
2 atmospheric temperatures.

3 And again, what you're going to
4 see in the second slide is at 8:18 in the morning,
5 the building is up around 47 degrees Celsius when
6 the temperature outside is 9 degrees Celsius. So
7 here is this net heat gain atmospherically that
8 changes this weather formula which is, quite
9 frankly, the interaction of cold and warm air and
10 water vapour.

11 Environment Canada does not want
12 us to heat the atmosphere for all the right reasons
13 in the world because we share that atmosphere.

14 So again, this is just very basic
15 information here. We actually did time-lapsed
16 videos over 2-minute increment. It was horrifying
17 to see how much heat was generated on the side of
18 the building even early in the morning. And
19 imagine this in Canada.

20 Now, Mr. Harper has committed --
21 here's an example of this. Mr. Harper committed to
22 spending, you know, \$800 million in Keephills,
23 Alberta to capture carbon. At the same time that
24 he was talking about that, we're documenting
25 building skin temperatures 94 degrees Celsius on a

1 35-degree day.

2 And like I said, in the summertime
3 what we're doing is -- and you're going to see
4 examples of this -- we're responding to the
5 symptoms with air conditioning which is a great,
6 big electrical load.

7 You know, my building itself uses
8 the equivalent of -- has to generate the equivalent
9 of 30 100-watt light bulbs an hour just to run my
10 air conditioning which is reacting to the symptom
11 of my building being radiated.

12 Now, I'm going to switch back to
13 -- go to the next slide and here's what you're
14 going to see here is on the left-hand side of this
15 slide, you can actually see here's a brand new
16 development. These are \$600,000 homes, but because
17 we put absorbent instead of reflective or
18 protective finishes on that development, it's 23
19 degrees outside and that whole development is up in
20 the -- up around 80 -- 86 degrees Celsius.

21 And once you generate that heat --
22 and that building's only designed for a maximum of
23 33 degrees Celsius -- that heat transfers and it
24 transfers outside atmospherically where it's
25 changing the weather formula and contributing to

1 climate change and it's also transferring back
2 inside the building where the building's just not
3 insulated for those temperature extremes.

4 Now, all of us have been in a
5 building before where we've said, "Oh, my goodness;
6 it sure is hot in here." We just truly couldn't
7 see before that the exterior of the building had
8 become a source of heat and that urban heat islands
9 were, in effect, buildings being radiated and
10 cooking people from the outside.

11 Now, just even -- and this is a
12 little bit of the importance of this consideration.
13 The image on the right-hand side shows two
14 buildings; one doesn't have the roof on it yet and
15 the shingles on it yet and that's just simply to
16 demonstrate if you look at the colour palette to
17 the side of that image, you'll see that that
18 unfinished roof is cooler because we haven't put on
19 these dark, absorbent shingles to mix with their
20 neighbourhood theme which therefore would generate
21 more temperature.

22 So I'm going to switch to the --
23 I'm sorry, I've already switched to the next slide
24 here. So now I want you -- hold on, I'm sorry
25 about that.

1 Okay, here we are with the next
2 slide here. Now, I want to -- this is so important
3 here with this one here because this one actually
4 made me panic a little bit because, as a building
5 professional and an energy professional, we want to
6 generate as few emissions as possible because at
7 the end of day for me too I also lecture medical
8 education on what these emissions are doing in
9 producing inflammatory responses and problems
10 within children that doctors just can't see or with
11 an adult just can't be seen.

12 So what we did with this -- to
13 again expand on this, you can see on the image in
14 the top left-hand side, we've actually put two
15 different paint colours on the side of the
16 building; one being brown and one being white and
17 we stuck a piece of Styrofoam in the middle of it.

18 Now, the reason we put the
19 Styrofoam in there is just to show that there are
20 products that just don't get UV excitable. We're
21 not talking about using Styrofoam, but you can see
22 that the temperature has doubled from the dark side
23 to the light side in just using paint.

24 Now, imagine this; when we do
25 business development and building development

1 across Canada or anywhere in the world, those
2 building exteriors have a function. They're an
3 envelope to shed the elements and to protect us.
4 They're functional. They're not supposed to be
5 pretty. And so just this simple issue here. Now,
6 you'll see this actually when it ---

7 CHAIRPERSON GRAHAM: Mr. Knight --
8 Mr. Bennett and ---

9 MR. BENNETT: Yes?

10 CHAIRPERSON GRAHAM: --- Ms.
11 Knight, you've used up quite a lot of your time and
12 the relevance to the Darlington new build and this
13 Joint Review Panel's review. So I just wonder if
14 you wanted -- we have your presentation. We have
15 gone through it all; the panel members have, but I
16 wonder if you want to get back on the new build and
17 the relevance.

18 MR. BENNETT: Well, that's exactly
19 where I'm at with, you know --

20 CHAIRPERSON GRAHAM: Well, as I
21 say, you're using up quite a lot of your time and
22 according to what I have, we would like you to get
23 -- speed it up so that you can come to the point
24 that you want to make.

25 MR. BENNETT: Yeah, precisely and

1 the only reason I'm taking this extra time on
2 this is -- you know, and again with the greatest
3 respect is that, you know, all the consultants in
4 Canada haven't seen this information before. We
5 use a calculator with the greatest accuracy.

6 So what this set of images does
7 here is this actually shows you what's happening on
8 the inside of the building and you can actually see
9 that because we've generated heat on the outside of
10 the building, it's transferring inside the building
11 with the image on the right-hand side.

12 When you switch to the next slide,
13 you can see here is that same building with the
14 brown and white paint, but on the right-hand side,
15 you can see where we've employed 3,000 watts of air
16 conditioning to react to that symptom and because
17 it's air conditioning and -- or refrigeration, it's
18 actually laying on the floor while the top of the
19 wall superheat the building.

20 So this 3,000 watts per hour
21 is a waste and this is just one building. So,
22 again, we're talking about, you know, with any new
23 energy development, why wouldn't you want to make
24 sure that -- of this excess demand.

25 We're reacting to symptoms before

1 we build something other than, so these images will
2 just show you that this is what's laying across
3 there. And technically, sir, listen that's
4 illegal. That's illegal according to Environment
5 Canada. It's illegal according to building code
6 and it's a big energy waste.

7 And from there we can just step
8 into this that I'm -- again, I'm not here being
9 commercial. I'm looking for your leadership on
10 this that when we present this information for
11 Ottawa and otherwise, the entire United Nations is
12 missing this information. And it is a big deal for
13 Canada to be bringing this forward.

14 But again, with what you're doing
15 with energy there, either in retrofits or
16 developing new energy provision, we have to deal
17 with this massive, massive waste that's going on or
18 be aware of it, so that you can just do your jobs
19 responsibly.

20 And, Dianne, do you want to take a
21 go from there?

22 MS. KNIGHT: I think Curtis has
23 covered slides 10 and 11 and 12 and 13 and 14.
24 He's explained all those thoroughly.

25 MR. BENNETT: And, again, they've

1 got this presentation in here. And, again, I would
2 just ask you to take close look at this information
3 because even when I dealt with Ottawa and they said
4 we have our own consultants. Their consultants --
5 we have the same education, but we're blind in a
6 calculator.

7 So I would just take you
8 to -- have you take a serious look at this. And
9 something that Diane talks about at the end of her
10 presentation here, and the reason she asked me to
11 talk about this too is October 26th, I believe, I
12 was an expert witness for Health Canada Standing
13 Committee on the potential harmful effects of EMFs,
14 so one of the things that -- again, asking you to
15 consider this because it's just of interest is
16 that, you know, EMFs are very unnatural to what
17 we're doing.

18 Have they considered EMFs
19 impacting the water or impacting the insides of the
20 facilities and somehow interacting with that
21 process? Because these EMFs are just causing a lot
22 of problems out there we just couldn't see before.

23 And, again, I'm not trying to be
24 all over the -- all over the place on this. We've
25 just got some precedent study information for you

1 and if we could even pass on a presentation related
2 to that or answer any questions, I absolutely look
3 forward to that.

4 MS. KNIGHT: The point of my
5 presentation is slide number 16. If you can bring
6 that up on the screen for us, please, David?

7 With the heat reflectors as Curtis
8 has mentioned, would Ontario Power Generation's
9 proposal to build additional reactors at Darlington
10 be totally obsolete before it even got off the
11 ground? Therefore rejected and all existing
12 reactors be retired because they would not be
13 needed at all.

14 MR. BENNETT: And, gentlemen, what
15 she means with that truly is -- and when I've
16 contacted the Ontario Government, imagine if
17 Ontario could reduce their emissions and there
18 electrical consumption just by dealing with this
19 waste and is that significant enough that that's
20 worthy of your attention on this?

21 Because how much energy do they
22 use in the summertime responding to urban heat
23 islands? What is the air conditioning load
24 associated with that?

25 And that -- that could immediately

1 be saved at the front end of this by -- by
2 professionals being responsible of their buildings
3 and using the proper finishes on them to stay
4 within the existing code.

5 MS. KNIGHT: Slide --

6 MR. BENNETT: And I would like
7 forward to any questions on this.

8 MS. KNIGHT: Slide 18 is my
9 personal background. I grew up in the cold war.
10 Slide 19 is the same. Slide 20 is very
11 significant. In my self-education work, I came
12 across an interesting website that relates to
13 nuclear. And I've reproduced screen shots on
14 slides 21, 22 and 23.

15 It's an almost unthinkable outcome
16 that the Electrosmog flying around today could
17 right now be possibly corroding the rods right
18 inside the nuclear reactors.

19 So if you can go to slide 21 about
20 building 13? Slide 22 where this took place for
21 excess mortality over the researchers. Slide 23
22 references the website where this information can
23 be found.

24 And I draw your attention to the
25 last paragraph on slide 23.

1 "This interaction from EMF is
2 a new phenomenon that
3 accelerates the corrosion of
4 metal elements such as water
5 pipes and guttering,
6 reinforcements and concrete,
7 et cetera, and even the rods
8 of nuclear reactors."

9 So I encourage the Committee to
10 review that, please.

11 And, Curtis, go back to slide 24,
12 please?

13 MR. BENNETT: Slide 24 on the
14 error?

15 MS. KNIGHT: Yes.

16 MR. BENNETT: Yeah, and what's she
17 talking about the error in safety code 6. Now,
18 error in safety standards I should say.

19 Safety standards do not want EMFs
20 to interact with a lot of things. We actually try
21 to separate signals, so that EMFs do not cause a
22 problem, but when it came to the interaction of
23 these EMFs with people, there was an error in
24 safety standards.

25 And what I did present to the

1 Committee on the 26th is that, you know, we -- we
2 weren't taking the right science into consideration
3 and there was missing critical data on -- that this
4 EMF interaction exists, but it said, just a very
5 serious issue that -- if they are talking about an
6 corrosion of rods or any potential of -- you know,
7 these EMFs how we generate electricity and they
8 just -- they are a very serious consideration that
9 we just need to pay attention to for their
10 interaction with all things.

11 MS. KNIGHT: And slide 25 is
12 saying, "Thank you and please make your decision
13 according to the law of love." It said, "Choose
14 the best possible future for all of humanity, our
15 creatures and our planet."

16 MR. BENNETT: And I would take it
17 further and say, we need to do this for the laws of
18 science. That all the laws are there that
19 Environment Canada has these laws, that we've got
20 this big waste that we just weren't aware of and
21 you as the Panel were not aware of this as well,
22 and I only say that as a credentialed professional,
23 both provincially and nationally.

24 Can I answer any questions for
25 anybody?

1 CHAIRPERSON GRAHAM: Thank you.

2 The rules are now that I go to
3 Panel members and they may either have questions to
4 you or to the other officials here. And I go,
5 first of all, to Mr. Pereira.

6 --- QUESTIONS BY THE PANEL:

7 MEMBER PEREIRA: Thank you, Mr.
8 Chairman, and thank you for your presentation.

9 We will take your -- the points
10 you have made, the information you offered into
11 consideration as we deliberate on the matter before
12 us. Thank you very much.

13 MR. BENNETT: Okay.

14 CHAIRPERSON GRAHAM: Madam
15 Beaudet?

16 MEMBER BEAUDET: Thank you, Mr.
17 Chairman.

18 I'm just trying to integrate what
19 you've brought up here with what we are doing.

20 Correct me if I'm wrong, but you
21 seem to propose that there are certain things that
22 we can do for energy conservation and energy
23 efficiency and by saving some megawatts of -- we
24 could -- it could be used to -- not to have nuclear
25 power?

1 We had a presentation yesterday
2 that said that there are other ways that in terms
3 of renewable energy that we could use some
4 megawatts there to replace the project that's under
5 study at the moment.

6 And for you, you seem to underline
7 that there is certain aspects that we don't
8 consider when we do our buildings. Whether the
9 buildings code has overlooked certain things or
10 Health Canada doesn't specify things that should be
11 done in the code 6 and that some energy could be
12 saved and be used to better end.

13 Is that what we should understand?

14 MR. BENNETT: You know, you're
15 exactly right, it's not just talking about that,
16 you know, there is other alternatives out there
17 available that would do very well. I'm talking
18 about there is existing energy waste today that
19 could be addressed that we just couldn't see before
20 and it is very significant.

21 And especially when you look at
22 the United Nations' meeting, you know, whether it's
23 in Copenhagen or Brazil, where they're talking
24 about spending hundreds of billions or trillions of
25 dollars in a global economy to address these

1 specific issues that are presented in front of you
2 today, they just couldn't see that here's a
3 building that's using energy. So you're exactly
4 right.

5 Here's a very existing issue right
6 now where savings would be immediate, but also in
7 the work that we do there are incredible avenues
8 for using alternatives that we just couldn't see
9 before and, hence, me presenting this information
10 and looking for leadership then to answer any other
11 questions for your professionals after the fact as
12 well.

13 MEMBER BEAUDET: Thank you for
14 bringing that up with us, and thank you, Mr.
15 Chairman. I have no questions.

16 MR. BENNETT: And similarly, if I
17 can just add to this too, is that when it comes to
18 the code issue, our building codes are wonderful.
19 These are violating building codes; these are
20 violating energy codes today and so it's not a
21 matter of a code change or taking up with a
22 different department. We just couldn't see this
23 before.

24 CHAIRPERSON GRAHAM: Thank you,
25 Mr. Bennett.

1 Now, I'll go to OPG, do you have
2 any questions?

3 MR. SWEETNAM: Albert Sweetnam.
4 No questions, thank you.

5 CHAIRPERSON GRAHAM: CNSC?

6 MR. HOWDEN: Barclay Howden. No
7 questions, thank you.

8 CHAIRPERSON GRAHAM: Government
9 participation? With that there are no questions.

10 We want to thank Mr. Bennett and
11 Ms. Knight for your presentation today and you're
12 always, as all submissions, they will be carefully
13 considered. Thank you very much and that winds up
14 this morning's presentations.

15 And I'll now declare a recess and
16 the floor will -- or the meeting or the panel will
17 resume at 1:30.

18 Thank you very much.

19 --- Upon recessing at 12:30 p.m. /

20 L'audience est suspendue à 12h30

21 --- Upon resuming at 1:30 p.m. /

22 L'audience est reprise à 13h30

23 MS. MYLES: Good afternoon
24 everyone. My name is Debra Myles. I'm the panel
25 co-manager.

1 Welcome back to today's second
2 session of the Darlington New Nuclear Power Plant
3 Project Joint Review Panel public hearings.

4 Secretariat staff are at the back
5 of the room. Please speak with Julie Bouchard if
6 you are scheduled to make a presentation today, or
7 if you'd like permission from the chair to put a
8 question to a presenter, or if you're not
9 registered to participate but would now like to
10 address the panel.

11 Opportunities for questions to a
12 presenter or a brief statement are subject to the
13 availability of time.

14 Please identify yourself each time
15 before you speak so the transcripts are as accurate
16 as possible.

17 And as a courtesy to everyone in
18 the room, please silence your cell phones and
19 electronic devices.

20 Mr. Chair?

21 CHAIRPERSON GRAHAM: Thank you
22 very much, Debra.

23 Just before we start with the
24 first presentation, I believe CNSC, Mr. Howden, you
25 had clarification to give to the panel.

1 MR. HOWDEN: Yes, Barclay Howden,
2 for the record.

3 This morning there was a question
4 asked by Mr. Pereira in terms of the safety
5 standards that were being developed by the
6 International Atomic Energy Agency. And so I
7 obtained some information from our specialists in
8 Ottawa. So I'd just like to make you aware of
9 three documents that are available -- would be
10 available on the IEA website.

11 One is "*Geological Disposal of*
12 *Radioactive Waste Safety Requirements*", which is
13 series number WSR4, which was -- actually was a
14 published in June, 2006. And in this document it
15 talks about low, intermediate and high-level
16 radioactive waste including used fuel.

17 Another document that is in
18 development, it is in draft, which I think is of
19 interest to the panel, is draft safety standard
20 DS357, which is, "*Monitoring and Surveillance of*
21 *Radioactive Waste Disposal Systems*". This is going
22 through a review period right now and is scheduled
23 for publication in 2012.

24 There's one other document, DS355
25 which is a draft document which is the, "*Safety*

1 *Case and Safety Assessment for Radioactive Waste*
2 *Disposal*", and it's in development and our staff
3 are trying to obtain the date for publication.
4 We'll let you know as soon as we hear that
5 information.

6 Thank you.

7 CHAIRPERSON GRAHAM: Thank you
8 very much, Mr. Howden.

9 So to start off the afternoon's
10 agenda, we have two participants who are each
11 registered as oral statements. I remind everyone
12 that only panel members will be asking questions
13 after each oral statement.

14 And the first participant this
15 afternoon is Karen Buck. Ms. Buck, welcome to the
16 Joint Review Panel, the floor is yours.

17 --- PRESENTATION BY MS. BUCK:

18 MS. BUCK: Thank you very much and
19 it's really a pleasure to be able to come and speak
20 and be welcomed here.

21 I am the President of Citizens for
22 a Safe Environment and basically we do advocacy
23 work for clean air, clear water, clean soil and
24 we're looking to build healthy communities for
25 healthy Ontario -- Ontarians to live in. So that's

1 sort of why I am here and what has brought me here.

2 I want to start with tritium and
3 -- because it is our Canadian experience with
4 nuclear and the CANDU reactors. It's a
5 radionuclide. It's a Beta emitter and it is
6 associated with increased cancer risk. I'd like to
7 talk about the current nuclear concerns around
8 tritium and they're brought up in a number of news
9 articles.

10 For example, Paul Dewar is very
11 concerned about tritium releases and tritium in
12 water and has said that the Canadian regulation is
13 far too high and would like to see it reduced to
14 200 as an interim and 20 -- oh, 100 as an interim
15 and 20 as a final becquerels per litre.

16 I agree with him as he says:

17 "As radioactive hydrogen,
18 tritium cannot be filtered
19 out of water and it does have
20 a half life of 12 and a half
21 years."

22 The tritium awareness project says
23 the AECL nuclear plant released 28 trillions
24 becquerels of tritium into the Ottawa River and
25 there are indications that it is in the Ottawa

1 drinking water source.

2 The Canadian Nuclear Safety
3 Commission said tritium releases from Chalk River
4 have been controlled and monitored within
5 environmental standards, which I believe are much
6 too high, and that the public faces no risk. I'm
7 not really sure of that.

8 I did talk, prior to this hearing,
9 at a meeting that was held as a public consultation
10 to this process and I did bring up the concern I
11 had about Chalk River leaks and the reporting of
12 those leaks.

13 I was absolutely shocked to know
14 that the person who was in oversight of Chalk River
15 asked for the closure of that plant and political
16 interference meant that the plant was not shut
17 down. She was fired.

18 Someone else was hired and as a
19 result, it opened up again and a leak occurred. If
20 this is the way we control nuclear in Canada, it's
21 unacceptable.

22 The other thing is that the
23 Canadian Government owns and heavily subsidizes
24 atomic energy. It recently asked the New National
25 Bank of Canada, a private bank, to propose an

1 escape plan for taxpayers.

2 That study remains secret, but the
3 Globe and Mail, citing unnamed sources, reported on
4 Wednesday that the only -- that the study
5 recommends that the government sell at least 51
6 percent of that company to the private sector.

7 A huge amount of nuclear costs are
8 borne by the taxpayer and I don't think it should
9 be done that way. I think the nuclear industry
10 should, in fact, have to look after its own costs
11 and live up to its own cost estimates when it
12 responds to an RFD proposal. It is not up to the
13 public to continue to subsidize it.

14 There's another news item
15 regarding the Canadian Nuclear Safety Commission
16 and SRB Technologies, where that commission is
17 probably going to grant a licence to discharge
18 tritium in amounts up to 448 trillion becquerels
19 per year through its stacks, and 200 billion
20 becquerels per year into the municipal sewer
21 system.

22 These radionuclides are not
23 removed by wastewater systems, and that, again, is
24 the way we're looking after things in -- in Canada.
25 I think that that does not bode well for public

1 health goals. Tritium is a serious hazard in
2 Canada and it requires urgent action by the public
3 and legislators alike.

4 And virtually -- and then there's
5 another news article here, you might have heard
6 about them before, or you might have read them or
7 been kept up to date by your own interests.
8 Virtually every commercial reactor in the US is
9 leaking tritium.

10 Those basically are my concerns.
11 I would like to just say that the regulated levels
12 of tritium, as Helen Caldicott said when she did a
13 presentation before you here last week, that she
14 thought it was going to be very, very difficult for
15 the Canadian regulator and for the CANDU reactors,
16 whether they're the old ones or the new ones, to
17 actually reach 20 becquerels per litre, and that
18 would be a concern.

19 I'd like to move on now to -- oh,
20 I'd like to say that the Waterkeeper was actually
21 cited in a new -- in a Star newspaper article,
22 where they were asking for a closed unit for
23 cooling; I would agree with that.

24 The less we use water and the more
25 we conserve, and are energy efficient, the better

1 we are in a forward-looking manner in Canada. And
2 also, he talked about protection of the fish at the
3 water intake. And I would agree with that.

4 I am very concerned with the panel
5 independence here, and I remember watching Chief
6 Justice Dennis O'Connor and the proceedings on
7 Walkerton.

8 I don't know what your position is
9 here, but in Walkerton he had lawyers who advised
10 him; he had researchers who advised him.

11 What I've seen here to date, and I
12 haven't really looked into it, as that you're being
13 advised by the very people who are putting the
14 technology in place. I don't think that is the
15 same kind of independence that was afforded at the
16 Walkerton Inquiry.

17 With regard to the EA process,
18 I've been involved in EA processes since 1990 in
19 Ontario, and in Canada, and I would say that the EA
20 process says that anything can be mitigated. It
21 doesn't allow for sufficient buffer zones, and it
22 doesn't ever really take into account accumulative
23 impacts.

24 I'm very concerned about the EA
25 process here, that it's generic, it's not based on

1 any one technology, and I do not support that. I
2 think it should be a process that is on one
3 technology and I believe that because I believe
4 there will be very limited input into the licensing
5 of whatever technology is chosen after the EA
6 process, and I think that bodes very poorly for
7 Canadian democratic rights.

8 I would like to also say that the
9 economics of this area will be affected by the
10 location of a nuclear facility here. I've heard
11 just positive ones, but I really do think that we
12 are in a transition away from non-renewable
13 resources for our energy supply, and we should be
14 moving away from nuclear.

15 Nuclear is a step -- it's keeping
16 us in the past rather than moving us forward to
17 where we should be going, away from uranium,
18 radioactive materials that we really haven't been
19 able to handle from the beginning to the end
20 without interfering with the health of people and
21 the environment and away from fossil fuels.

22 The alternative, I believe, one of
23 the alternatives is that Ontario is a province
24 lodged between Quebec and Labrador on the east, and
25 Manitoba on the west. Both of these provinces have

1 large hydro facilities, and I think that we could
2 purchase hydro from them.

3 CHAIRPERSON GRAHAM: Ms. Buck, I
4 just want ---

5 MS. BUCK: And that ---

6 CHAIRPERSON GRAHAM: --- I just
7 want to mention, you have ten minutes, and ten
8 minutes are up, but I'll let you have a couple of
9 minutes to -- to summarize.

10 MS. BUCK: Yeah. I think -- yeah,
11 I've ---

12 CHAIRPERSON GRAHAM: If you need a
13 couple more minutes, please summarize.

14 MS. BUCK: I think that's it. I
15 think that my concerns about nuclear, I've -- I've
16 gone through, that I don't believe in a generic EA
17 process, and that I think that we should be in a
18 transition state away from nuclear, and into a
19 future of renewable energy. And that's it.

20 Thank you very much.

21 CHAIRPERSON GRAHAM: Thank you
22 very much for your presentation. You've touched a
23 lot of topics, from -- from user pay to tritium to
24 input and so on.

25 So I'll start right off with my

1 two panel members and the first one being Mr.
2 Pereira for questions.

3 --- QUESTIONS BY THE PANEL:

4 MEMBER PEREIRA: Thank you, Mr.
5 Chairman.

6 I'll focus on two issues. The
7 first one is tritium in water and the hazards that
8 arise from releases of tritium, and the examples
9 given of some of the regulated facilities in
10 Canada.

11 I'd like to turn to the CNSC for a
12 comment on safety with respect to releases of
13 tritium from licensed facilities.

14 MR. HOWDEN: Thank you. Barclay
15 Howden speaking.

16 Yeah, tritium is like other
17 radioactive materials that are emitted from the
18 facilities. They're subject to what were called
19 derive release limits, which are based on dose
20 limits to members of the public.

21 Then within those dose limits,
22 which is one microsievert per year, there's a
23 requirement in the radiation protection regulations
24 for the licensees to put in place action levels,
25 which are much lower.

1 And the purpose of the action
2 levels is to ensure that if an action level is
3 triggered then an investigation is done to review
4 the -- the operations to determine whether there's
5 a problem with the operations.

6 Below that, the proponents or
7 licensees put in their own administrative and --
8 and levels that they use, so that they don't
9 trigger the action levels.

10 So when the facility is licensed,
11 it looks at all the emissions that come from the
12 facility, not just tritium, to ensure that they're
13 -- the public is not being exposed to the dose
14 limits, and in fact, the releases are as low as
15 reasonably achievable.

16 For the Darlington proposed plant,
17 from all sources the predicted doses to the public
18 is five microsieverts per year, with the dose limit
19 being 1,000 microsieverts per year.

20 MEMBER PEREIRA: Thank you, Mr.
21 Howden.

22 A further question, the intervenor
23 has raised a concern about the Canadian limit for
24 tritium in drinking water of 7,000 becquerels per
25 litre, and the call from a number of speakers has

1 been to have that limit lowered to 100 as an
2 interim -- to 100 becquerels per litre, and
3 eventually to 20 becquerels per litre.

4 What would the source of authority
5 for lowering of the limit lie in Canada? So where
6 would -- where should we go if we want to seek
7 action to lower the limit?

8 MR. HOWDEN: Barclay Howden
9 speaking.

10 The 7,000 becquerels per litre
11 limit is a guideline issued by Health Canada, but
12 the actual management of -- and that's for tritium
13 in drinking water. And so in terms for drinking
14 water within a particular province, it generally
15 lies with their environment ministry and in
16 Ontario, it's the Ministry of the Environment.

17 And as people are aware, there's
18 been some recommendations to go down to 100 and
19 then possibly down to 20, and the Government of
20 Ontario hasn't made that decision yet.

21 The CNSC does not regulate
22 drinking water or Tritium in drinking water. It
23 regulates the emissions from the facilities, but
24 the focus is to ensure that the emissions are low
25 enough that they don't impact people and they don't

1 impact groundwater such that it would impact the
2 drinking quality of it.

3 MEMBER PEREIRA: But Health Canada
4 would have expertise on assessing why a guideline
5 of 7,000 is appropriate for Canada?

6 MR. HOWDEN: That is correct.
7 Their number is based on the potential health
8 effects, but then it's up to the provinces to
9 determine whether they want to go below that, but
10 Health Canada has not changed their number, 7,000
11 becquerels per litre, for a very long time.

12 MEMBER PEREIRA: Thank you, Mr.
13 Howden.

14 Another question for the CNSC.
15 The intervenor has expressed a concern about
16 controls under the regulatory process for
17 facilities -- nuclear facilities in Canada, urging
18 us to put in enough controls in the environmental
19 assessment so that we wouldn't have to depend to a
20 great extent on the licensing process, the
21 regulatory process for nuclear facilities.

22 Would you like to comment on what
23 assurance is available to the public from the
24 regulatory process for nuclear facilities in
25 Canada?

1 MR. HOWDEN: Barclay Howden
2 speaking.

3 Before any facility can go ahead,
4 the first step is the environmental assessment as
5 we're discussing today. And the purpose of that is
6 to determine whether there may be any significant
7 environmental impacts.

8 The actual process for regulating
9 the facilities if they go forward is through the
10 licensing process that the CNSC has and other
11 regulators such as DFO for protection of fish and
12 fish habitat.

13 From the CNSC perspective, the
14 process is a proponent makes an application which
15 is assessed by the staff and then it goes to a
16 public hearing where the public has an opportunity
17 to intervene and provide their views to the
18 commission.

19 For a nuclear power plant, there's
20 three steps. There's the licence to prepare site,
21 licence to construct, and licence to operate. And
22 at each stage, there's an opportunity for public
23 input.

24 One thing that is new that is just
25 being introduced is previously participant funding

1 was only available on the environmental assessment
2 side as issued by the *Canadian Environmental*
3 *Assessment Act*.

4 The CNSC has recently received
5 approval to set up a participant funding program
6 which is in place. So now for the licensing
7 portion, there is opportunities for intervenors to
8 seek participant funding.

9 And my understanding is that the
10 -- the first opportunity for that is the upcoming
11 Chalk River relicensing which, I think, is starting
12 in June and there's an opportunity. But the intent
13 is to have this available for all licensing stages.

14 MEMBER PEREIRA: Thank you. Thank
15 you, Mr. Chairman.

16 CHAIRPERSON GRAHAM: Thank you,
17 Mr. Pereira.

18 Madame Beaudet?

19 MEMBER BEAUDET: Thank you, Mr.
20 Chairman.

21 I'd just like to check a few
22 points with -- concerns that were raised by the
23 intervenor here with the OPG concerning radioactive
24 effluents that would go into the sewer system.

25 MS. SWAMI: Laurie Swami.

1 I believe you're asking if we will
2 discharge radioactive effluents to the sewage
3 system?

4 MEMBER BEAUDET: Yes, that's
5 correct.

6 MS. SWAMI: The process that we
7 have for new nuclear is that we would treat our
8 effluents before release to Lake Ontario through
9 our condenser cooling water system. It's not our
10 intent to release radioactive material to the
11 sewage system.

12 MEMBER BEAUDET: You mentioned the
13 other day that in -- in the program to reduce waste
14 you would, for instance, wash clothes. Would that
15 have an impact on -- I mean would that have -- it's
16 low level radiation, but that would have an impact
17 on your reject to the sewage system?

18 MS. SWAMI: Laurie Swami, for the
19 record.

20 Typically, we have laundered at
21 our facilities. When we have done that, it's
22 treated and released through the radioactive liquid
23 waste management system. It's not treated and
24 released through the sewer system.

25 MEMBER BEAUDET: Thank you. Thank

1 you, Mr. Chair.

2 CHAIRPERSON GRAHAM: Thank you,
3 Madame Beaudet.

4 Just one comment. You referred to
5 the process in the Walkerton Inquiry. I don't know
6 how that went, but our process is to allow the
7 panel to gather all the information we can and hear
8 from everyone, from the proponent, from CNSC, from
9 the general public, from all participants, from
10 NGOs and from everywhere we can to get that
11 information. We had the rules to follow.

12 I've gone the extra mile on those
13 rules to hear everyone possible and to get as much
14 information as possible and certainly hope that our
15 process will foster other processes to go forward
16 in the future to -- to be an open way of gathering
17 information.

18 I only speak for this one, but we
19 certainly are trying to get all the information we
20 can. We're not just taking it from one source or
21 two sources, but even like the oral statements like
22 today, we appreciate your comments.

23 So with that, no further comments,
24 we want to thank you very much for coming. I want
25 to thank you very much for participating and if you

1 wanted to just have a short comment at the end --
2 it's not in the rules.

3 I'm not supposed to, but again
4 since you did take the time and you did address a
5 lot of issues, I'll give you 30 seconds if you'd
6 like to sum up.

7 MS. BUCK: I am concerned about
8 the independence of the panel and receiving really
9 good advice from independent people who are not a
10 part of the technology. And I'm concerned about
11 the regulation process as well.

12 There's a thing that's called an
13 MCLG, which gives you a margin of safety, but it's
14 unenforceable.

15 And then you go to an MCL
16 regulatory process where you have an enforceable
17 limit, but there may not be a safety -- a margin of
18 safety there and it could be based on cost.

19 And one of the things that I've
20 heard on the Japanese news on -- on TV and from a
21 nuclear expert was that in many cases, technology
22 and costs tend to mean that when a nuclear facility
23 is put in place, what happens is it's the most
24 likely scenario as opposed to the worst-case
25 scenario and I would caution on that.

1 Thank you.

2 CHAIRPERSON GRAHAM: Thank you.

3 And as I failed to mention, we have listened to
4 intervenors and they've referred to studies that
5 maybe we didn't have and we've had 67 undertakings
6 to get other information that was brought up by
7 intervenors that were not from CNSC, that were not
8 from OPG, but they were from outside information,
9 many of them being on health studies, many of them
10 being on a significant relationship to Tritium and
11 those uses, and the panel is going into this with
12 an open mind.

13 Thank you very much and we
14 appreciate your oral presentation.

15 Go next to Mr. David Done, who has
16 an oral statement also. Mr. Done?

17 (SHORT PAUSE/COURTE PAUSE)

18 CHAIRPERSON GRAHAM: Anywhere at
19 all or there's -- I guess, all clean glasses for
20 water here right after lunch, so everything is --
21 there's a button there to press when you go to
22 start to speak.

23 Bring the microphone close to you
24 if you can so the interpreters can pick up the --
25 and at pace of speech relatively slow so the

1 translators can pick it up also.

2 MR. DONE: Okay.

3 CHAIRPERSON GRAHAM: Thank you
4 very much and welcome.

5 --- PRESENTATION BY MR. DONE:

6 MR. DONE: Well, thank you.

7 Actually, it went on by itself there.

8 Well, my -- my name is David Done.

9 I live with my daughter in the Beaches
10 neighbourhood of Toronto. I was a graduate
11 engineer in engineering science, '66, and a former
12 geophysicist. I'm co-founder of the Safe Sewage
13 Committee.

14 I mention that only because of
15 water issues with regard to heavy water --
16 saturated heavy water, the deuterium changing into
17 tritium.

18 Basically I'm here as a citizen.
19 I think that it's a wrong turn or development for
20 Ontario to move into an expansion of the nuclear
21 industry in the commercial and industrial sectors.

22 I believe that nuclear should only
23 be used for research purposes, medicine, maybe the
24 space program, particle research. And it's too
25 dangerous a set of technologies.

1 Now, we can talk about various
2 things. I mean the Japanese situation has brought
3 things to a climax here again. We had Three Mile
4 Island, Chernobyl. It's going to happen again.

5 And we're sitting into a fairly
6 stable plate tectonic area here in Ontario,
7 although Southwestern Quebec and the Ottawa Valley
8 fault zone, we had a small quake last summer. I
9 remember the vibration.

10 The problem is if you -- if you're
11 running the plant and everything is perfect, no
12 valves breakdown, there is no human error, there is
13 no earthquakes, there is no sabotage, then things
14 are fairly stable, but even a fairly stable
15 tectonic area like Ontario, is still -- there is
16 still the possibility of once in a century major
17 earthquake.

18 And we have to think about future
19 generations. We have to think about one or two
20 centuries here, not just the 50 years of a plant
21 and it's decommissioning, so I think just based on
22 geophysical considerations, this is an extremely
23 dangerous project and I can't understand why Mr.
24 Duguid or Mr. McGuinty are promoting this in
25 Ontario.

1 We should really be
2 decommissioning our plants and moving to
3 alternatives. I know it's a set of dilemmas, but
4 basically -- well, that's enough about the
5 geophysical dangers. That alone should be an end
6 to this expansion.

7 But in terms of the nuclear, I
8 mean it's always been known for the major part of
9 the 20th century, the inability to neutralize
10 radioactive waste.

11 The uranium-235 splits into maybe
12 35 by-products, 2.4 neutrons, tellurium and
13 zirconium. These waste products have tens of
14 thousands of year, half-lives.

15 And what do you do with them? You
16 cover them with lead and case them in lead or
17 water. You put them in the Gowganda Formation of
18 the Canadian Shield. You put them up in space and
19 put them into the sun. Sure, but you got get them
20 there. You got to get them to Gowganda Formation.

21 This is global insanity using
22 nuclear in populated areas except for very
23 important interests of the human race in terms of
24 research.

25 So that again is a good reason not

1 to be expanding this capability in Ontario or
2 anywhere. These remarks are just meant to be -- to
3 be actually provincial.

4 Now, about heavy-water disposal.
5 The problem there is equipment failure and human
6 error. I mean, the AECL gets about 100 incidents a
7 year. I mean Norm Rubin has published that. It's
8 got quite common knowledge. There is all sorts of
9 minor problems that never get into the press.

10 And so, you know, my daughter and
11 I and my wife -- well, I'm a widower now, but we
12 went to the RC Harris Water Plant in Toronto. I
13 wanted to show my daughter a facility.

14 I said, is there any tritium in
15 the water? Oh, yeah, there is tritium. Where does
16 it come from? It comes from Pickering. And then
17 that's -- that's the guide at the plant telling us
18 that.

19 Now, there -- environmental
20 regulations are not good enough. If it's
21 detectable, it's too much. It's not that it's
22 below a certain limit. Those limits are always
23 changing.

24 They're based on statistics that
25 haven't been fully understood because we're only a

1 half century into the nuclear technology in
2 society.

3 So I mean, I'll sort of repeat
4 what Karen said about heavy water, I won't say what
5 she said, but the -- the real problem there
6 is -- is failures at the plant, equipment failures
7 and human error releasing when it shouldn't
8 be -- shouldn't be released.

9 So what's the -- what's the
10 alternatives here? Well, I'll just say one more
11 thing about decommissioning. I mean the plan --
12 any plan can only go about 50 years, then it has to
13 be mothballed. It has to be covered in lead or
14 something, but it becomes a dead zone, so we're
15 creating all these dead zones in populated areas.

16 If we're, say, a century from now
17 or even -- well, Pickering, Pickering must be
18 pushing up to 50 years now, so do we really want to
19 extend this in Ontario?

20 You know, and I as an
21 environmentalist, I mean originally I was an
22 engineer but I became sort of an environmentalist
23 later in life. I think we may be taking a wrong
24 turn here.

25 So some of the alternatives, what

1 are the alternatives? Well, cogen renewables like,
2 well, solar, wind, tidal, methane.

3 Possibly -- possibly -- and see in
4 research, possibly fusion could eventually provide
5 a safer technology than fission. So basically in
6 terms of research, we want to maybe maintain this
7 kind of activity, but not in the industrial and
8 commercial areas.

9 And now there has been some talk
10 about thorium reactors, dangerous, but less
11 dangerous, but, you know, Professor Bill Rees in
12 his Eco Footprint idea that basically the G8 in the
13 world has to move into a lesser growth mentality --
14 mentality. They have to look at energy efficiency,
15 consuming less. You know, basically it's a dilemma
16 in terms of our society and the way the G8 is
17 actually moving.

18 But I guess I don't have much more
19 to add, except that based on geophysical
20 considerations, nuclear considerations, radioactive
21 waste and decommissioning and the heavy-water
22 disposal -- you know, with heavy water, I was going
23 to mention one thing. Like, we are very concerned
24 about detection devices by the U.S. Government at
25 border points using saturated heavy water.

1 You know, like, there is certain
2 issues her that -- or certain paranoia that exists
3 with the general public because of Japan and
4 because of international terrorism, but we can't go
5 Willy-Nilly with these dangerous technologies.

6 I mean one thing I learned as an
7 engineer, equipment breaks down and it's -- it's
8 all very pragmatic and then nothing is perfect, so
9 we shouldn't be investing and expanding.
10 Technology, the research hasn't been able to
11 harness in terms of its dangerous consequences.

12 But anyway, that's all I have to
13 say this afternoon. I appreciate the opportunity
14 to come and speak to the people here and --

15 CHAIRPERSON GRAHAM: Well, thank
16 you very much. We appreciate you sharing your
17 experiences and your thoughts.

18 And then now the way the procedure
19 goes, I'll go to my panel members that may have
20 some questions. So Madam Beaudet, would you start
21 off, please?

22 --- QUESTIONS BY THE PANEL:

23 MEMBER BEAUDET: Thank you, Mr.
24 Chairman.

25 I would like to check first with

1 CNSC and then OPG, incidents do occur. I mean, as
2 you say, rightly, equipment breaks down. There has
3 to be maintenance and there's also human error.

4 I would like to -- I think, CNSC,
5 you have a procedure to -- for incidents. You're
6 supposed to be advised every time there is an
7 incident and I would like to see the scale of how
8 many incidents per year you receive?

9 CHAIRPERSON GRAHAM: Mr. Howden?

10 MR. HOWDEN: Thank you. Barclay
11 Howden speaking.

12 Yes, there is an incident
13 reporting system that the licensees have to report
14 to. It's guided under a document called S99, which
15 is referenced in their licences.

16 In terms of the number, we'll seek
17 to obtain last year's nuclear power plant annual
18 report, which I think will have the -- the
19 information for that. So we'll get that for you as
20 an undertaking.

21 Also one of the things that we
22 subscribe to is the defence in depth approach, such
23 that there's physical barriers, operating systems,
24 programs and administrative controls, and the
25 intent of this is recognizing that things do break,

1 and barriers break or barriers degrade, and the
2 whole view of this is that you anticipate that they
3 are going to break and then you build a system
4 that's robust enough to be able to react to that.
5 So that's sort of the philosophy that is used in
6 the nuclear industry.

7 But in terms of the incident
8 reporting, we'll obtain the statistics for you and
9 provide it.

10 CHAIRPERSON GRAHAM: I'm going to
11 give that an Undertaking number 68, for all
12 significant reports the ST99 reporting on the
13 annual incident rate.

14 And when would you have that, Mr.
15 Howden?

16 MR. HOWDEN: I'd like to provide
17 that Friday morning. If we have it earlier, we'll
18 bring it up earlier than that.

19 CHAIRPERSON GRAHAM: Thank you
20 very much.

21 Madam Beaudet?

22 MEMBER BEAUDET: I'd like to have
23 not just numbers, but the type of incident as well,
24 please.

25 MR. HOWDEN: Barclay Howden

1 speaking.

2 We will make sure that there's
3 some description in terms of sort of the -- the
4 levels of events.

5 MEMBER BEAUDET: Thank you.

6 I'd like to go to OPG now and ask
7 them when they do have an incident and report, what
8 is the protocol in terms of lesson learned, and the
9 action that usually you take, and also, if you have
10 any statistics to compare, if it's equipment
11 failure or breakage, compared to human error.

12 MS. SWAMI: Laurie Swami, for the
13 record.

14 We have -- as Mr. Howden has
15 mentioned, we have the reporting requirements for
16 operating nuclear power plants that are required
17 under our licence for identifying events. They are
18 a listed number of different events.

19 But we don't just rely on the
20 regulatory reporting processes, the only way we
21 monitor and track events in our system, and we have
22 a system called the station condition reporting
23 program where we identify any event that could take
24 place, whether it's an equipment, human performance
25 or other type of event, and those are routinely

1 input by our staff.

2 And through that process we assess
3 what the impact would be. We look for trends
4 within the reporting, so some of these are fairly
5 low-level events, but what we do is we track them
6 to see if there's a trend that we need to address
7 rather than waiting for a breakthrough event.

8 So that process is a fairly robust
9 process. It's based on industry practice, and
10 we've adopted that in OPG to ensure that we're
11 tracking trending identifying events and taking
12 corrective actions.

13 The process requires that we do an
14 apparent cause evaluation or a root cause
15 evaluation, depending on the level of the event.
16 So a fairly significant event naturally would have
17 a much more detailed review of what the root cause
18 was.

19 Some of the lower-level events
20 don't require that type of an investigation, and so
21 we -- we sort of have different levels of
22 investigation that take place, and we use that to
23 ensure that we are preventing events from taking
24 place in the future. So that's all part of the
25 process that we described.

1 But I'd like to -- to also focus
2 on what Mr. Howden referred to as defence in depth,
3 that while I agree equipment can fail, we typically
4 don't rely on one piece of equipment to prevent an
5 event from taking place.

6 We have multiple barriers to
7 prevent events from equipment, so that there may be
8 redundant equipment, it may be a design redundancy,
9 it could be a location redundancy, there are many,
10 many things that we do in the design of a plant to
11 ensure that the events don't progress to more
12 serious and significant events.

13 So I think the statistics on the
14 S99 reporting versus what we do internally are
15 fairly different.

16 From the perspective of the
17 breakdown of the different events types, I don't
18 have the information in front of me, but we can get
19 that information and provide it for the Darlington
20 site.

21 MEMBER BEAUDET: Yes, please.

22 CHAIRPERSON GRAHAM: That'll be
23 number 69 undertaking by OPG. Time frame please?

24 MS. SWAMI: Laurie Swami.

25 I'm just trying to remember the

1 day. I think on Thursday we can provide that
2 information.

3 CHAIRPERSON GRAHAM: Yeah, today
4 is Tuesday; so it'll be Thursday then. Okay.

5 Madam Beaudet, anything else?

6 MEMBER BEAUDET: No, that's all.

7 Thank you.

8 CHAIRPERSON GRAHAM: Mr. Pereira?

9 MEMBER PEREIRA: Thank you, Mr.

10 Chairman.

11 Mr. Done, thank you very much for
12 your very perceptive overview of the challenges we
13 face in the nuclear industry. There are a couple
14 legacy issues that you brought up.

15 One was high-level waste and the
16 challenge we're facing trying to manage that waste
17 for the long-term. But the second one you brought
18 up was concerned decommissioning of nuclear
19 facilities and how that can be achieved.

20 I'd like to turn to the CNSC for
21 an overview of what exactly the regulatory process
22 does in terms of returning decommissioned
23 facilities to benign sites that can be released for
24 -- for reuse for other purposes.

25 Would you outline what exactly is

1 in place in terms of regulatory requirements?

2 MR. HOWDEN: Barclay Howden
3 speaking.

4 So for any facility starting at
5 potentially a licensed to prepare site, the
6 proponent needs to put together what's called a
7 preliminary decommissioning plan.

8 And with that they have to put
9 together a financial guarantee to ensure that if
10 the company suffers issues, that there'll be enough
11 money to decommission that facility.

12 Then as a plant goes -- a facility
13 goes through its life it gets to the point where it
14 breaches a point where it's to be decommissioned.

15 And then what they do at that
16 point is they apply for a decommissioning licence.
17 And with that they need to submit what's called a
18 detailed decommissioning plan, which is assessed to
19 determine whether the decommissioning can be done
20 safely because decommissioning does have some
21 risks, and it also can generate wastes.

22 With that they can decommission
23 the site, and depending on the type of facility,
24 they may be able to, in some cases, for example a
25 uranium mine they would have to -- normally they

1 would leave it under a decommissioning license for
2 maybe ten to 15 years to ensure that all the -- the
3 controls that were put in place and all the
4 predicted effects were there before they would
5 apply for what is called a licence to abandon.

6 So an example in Canada of licence
7 to abandon, two SLOWPOKE reactors have been
8 decommissioned in Canada, the U. of T. SLOWPOKE and
9 the Dalhousie SLOWPOKE.

10 The U. of T. SLOWPOKE was
11 decommissioned about ten years ago, and they were
12 able to decommission to such a state that they were
13 able to build a nano-technology laboratory there.

14 The Dalhousie one was just
15 decommissioned, but their intention is to turn that
16 space over into the future to -- to other work.

17 So once they get to the point
18 where the -- the facility is decommissioned and it
19 can be returned to other uses, they apply for
20 what's called an abandonment licence, and when they
21 obtain that licence they're released from
22 licensing.

23 However, all these facilities are
24 subjected to international safeguards, even into
25 the future. If the IEA wants to come and confirm

1 that the facility has been removed, they're able to
2 do that in the future. So that's the basic
3 process.

4 MEMBER PEREIRA: Thank you.
5 Just for clarification, when you say licence to
6 abandon a site, what does that mean? What risks do
7 the public face in visiting or using those sites?

8 MR. HOWDEN: The intention for a
9 licence to abandon is that there wouldn't be
10 restrictions to the -- the use of the site
11 afterwards.

12 In the case of uranium mines, some
13 -- what they would look for is release the site
14 back to the province, and then the province would
15 ensure that there -- if there's longer term
16 controls needed, they would -- they would impose
17 those, but for some facilities once decommissioned
18 they can be released to free use without any
19 restrictions. It depends on the facility.

20 MEMBER PEREIRA: Thank you. Thank
21 you, Mr. Chairman.

22 CHAIRPERSON GRAHAM: I have two
23 questions.

24 First of all, the one with regard
25 to Mr. Done's comments with regard to the water

1 treatment plant, which he had experience at in
2 Toronto and visited. At what level or how is --
3 how are the levels reported. Is there safety
4 margin? At what level would that plant have to be
5 shut down with a concentration of tritium coming
6 into that plant because it is being tested?

7 I wonder, CNSC, could you answer
8 that?

9 MR. HOWDEN: Barclay Howden
10 speaking.

11 What do you mean by the level that
12 would be coming into the plant?

13 CHAIRPERSON GRAHAM: Well, Mr.
14 Done said that his comment was, visiting the plant,
15 his experience was that they said there is tritium
16 in the drinking water.

17 At what parts per million or -- is
18 it that -- when they're testing, is that they
19 cannot allow it to go into the system?

20 (SHORT PAUSE/COURTE PAUSE)

21 CHAIRPERSON GRAHAM: OPG, could
22 you answer that?

23 MS. SWAMI: Laurie Swami, for the
24 record.

25 The Toronto-Harris Water Supply

1 Plant is part of our radiological environmental
2 monitoring program and we do measure the tritium in
3 -- at that plant on a regular basis. And I can
4 confirm that the 2009 annual average level was 4.6
5 becquerels per litre as reported to the CNSC.

6 The decision on stopping drinking
7 water coming from a particular plant is made by the
8 province of Ontario and they would look to the
9 guidance provided in the Ontario Drinking Water
10 Standard.

11 Currently it's 7,000 becquerels
12 per litre on an annual average basis; so it's not
13 necessarily that they would shut down at 7,000. It
14 would be a choice made by the -- the medical
15 officer of Health I believe.

16 CHAIRPERSON GRAHAM: And that --
17 the recommendations are to go down to 100, but that
18 -- those have not been adopted yet and then down to
19 20. Is that correct?

20 MS. SWAMI: Laurie Swami, for the
21 record.

22 The recommendations, as I
23 understand them from the Ontario Drinking Water
24 Advisory Committee, is to move to 100 becquerels
25 per litre on an annual average basis and eventually

1 go to 20 becquerels per litre.

2 Those have not yet been adopted,
3 but I would also mention that OPG has committed,
4 since 1994, to 100 becquerels per litre at water
5 supply plants in Ontario.

6 CHAIRPERSON GRAHAM: And it's
7 never been exceeded?

8 MS. SWAMI: Laurie Swami, for the
9 record.

10 There have been -- there have been
11 spills in the past where it was exceeded for a
12 short period of time in the '90s, but currently we
13 indicate the annual average is around or below ten
14 becquerels per litre and it has been that way since
15 1995.

16 CHAIRPERSON GRAHAM: Thank you.
17 Just one other question Mr. Done asked with regard
18 to his concern with regard to heavy water and
19 detection.

20 Could CNSC perhaps -- I'll maybe
21 ask them, how is heavy water detected if it was --
22 goes into the environment? Yeah, I'll let you --
23 maybe I asked the wrong question. Turn on the --
24 your --

25 MR. DONE: I was asking about

1 detection devices at the border, like they use
2 heavy water and a device for detecting plutonium by
3 terrorists coming across the border.

4 The U.S. Government is buying from
5 OPG or attempting to buy from OPG heavy water for
6 that purpose. Very dangerous to have it at the
7 border; people are going by, you know, who's
8 getting irradiated? I mean, it's just -- it's
9 motherhood, you know, the danger I don't even have
10 to explain it.

11 CHAIRPERSON GRAHAM: Okay. I did
12 ask the wrong question in that way, and I believe
13 that's a security one, but -- that we can -- we are
14 not supposed -- we're -- can you add to that then?

15 MR. HOWDEN: I can answer the
16 question, yeah.

17 Heavy water is not a radioactive
18 substance; so it doesn't pose a radioactive hazard.
19 However, it is a controlled substance under the
20 non-proliferation treaty that Canada is signatory
21 to because it can be used for non-peaceful uses.
22 So it would -- the use of it would be subject to
23 licencing in whichever country that it's used.

24 CHAIRPERSON GRAHAM: Thank you.

25 Mr. Done, thank you very much for

1 coming and sharing your concerns and sharing your
2 interest in our panel. And certainly we take your
3 comments along with all the others. Thank you very
4 much for -- a safe trip. You're -- I don't allow
5 -- I'm not supposed to, but again I will let you.

6 MR. DONE: Just two points of
7 issue with the -- is it CNSC; is it --
8 decommissioning of plants. They are not
9 necessarily usable, like, those are -- I'm not
10 saying it's like a Chernobyl situation, but the
11 level of radiation is such that they wouldn't be
12 used. Maybe a uranium mine, but not a plant like
13 at Pickering.

14 And heavy water is an unstable
15 quantity and is a low-level form of radiation on
16 another issue. The deuterium picks up the neutron,
17 but the neutron is unstable and it is -- so I'm
18 opposed to what the gentleman just said on those
19 two counts.

20 Thank you very much; I appreciate
21 being here. Thank you.

22 CHAIRPERSON GRAHAM: Thank you
23 very much; much appreciated.

24 --- QUESTIONS BY THE PANEL TO ENVIRONMENT CANADA
25 AND FISHERIES AND OCEANS:

1 CHAIRPERSON GRAHAM: Now, we're
2 going to government agencies and I think we need
3 about a half a minute or a minute to get set up
4 with our technical people.

5 So we'll just take -- we're not
6 taking a break; we'll just take a minute or so for
7 you to get that. And in the interim, would
8 officials from Environment Canada and Fisheries and
9 Oceans Canada come up, please.

10 (SHORT PAUSE/COURTE PAUSE)

11 UNIDENTIFIED SPEAKER: Can I ask
12 who is on the teleconference line?

13 MR. THOMPSON: Aaron Thompson,
14 Environment Canada.

15 MR. CADMAN: Mike Cadman,
16 Environment Canada.

17 UNIDENTIFIED SPEAKER: Thank you.

18 MR. GOFFIN: Goffin, Environment
19 Canada.

20 CHAIRPERSON GRAHAM: Are we all
21 set technically? Okay. I've got the nod.

22 So we have here Mr. Dobos from
23 Environment Canada with his team and introduce
24 yourself on -- I'm sorry, I don't have ---

25 MR. HOGGARTH: For the record, Tom

1 Hoggarth from Fisheries and Oceans.

2 CHAIRPERSON GRAHAM: Mr. Hoggarth
3 from Fisheries and Oceans. Okay.

4 Then we'll start off with
5 questions to -- I believe questioning from panel
6 members were required and I'm not sure who I'll
7 start with, but I'll start -- I'll start, I guess,
8 with Madam Beaudet.

9 MEMBER BEAUDET: Thank you, Mr.
10 Chairman.

11 Good day everyone. We received --
12 you did provide us -- I don't know if -- it must be
13 an undertaking number with *Fisheries Act*,
14 authorization example and sort of to give us a
15 little bit of the feeling of what usually you would
16 ask.

17 And in the authorization you sort
18 of placed the conditions of how the works and the
19 activities and the operations would go; the
20 conditions that would relate to mitigation, the
21 conditions that would relate to monitoring and
22 follow-up and doing the operation; conditions
23 relating also to the monitoring and reporting of
24 any compensation or -- habitat -- compensatory
25 habitat regarding this.

1 We did hear the other day that DFO
2 didn't have an authorization, but you had been
3 working with them in order to come to an agreement
4 on how we could -- the habitat at the existing site
5 for possibly Pickering, but let's talk about the
6 existing Darlington site, could be managed.

7 And I'd like to hear a little bit
8 more about that, please first?

9 MR. HOGGARTH: Okay. Tom
10 Hoggarth, for the record.

11 And the process that we work with
12 OPG and all other clients that are in non-
13 compliance, we need to separate Section 35 and
14 Section 32 of the *Fisheries Act*.

15 So under Section 35, for example,
16 we do not have the ability to get or put in place
17 an authorization after the fact. So in Darlington
18 there was an infill.

19 Again, the infill occurred at a
20 time prior to us, Fisheries and Oceans Canada being
21 there for the application of the habitat provisions
22 of the *Fisheries Act*.

23 So that's why that was done, and
24 we will not be working with OPG to get an
25 authorization after the fact for the Section 35

1 infill.

2 However, as an example, with the
3 Section 32, that's an ongoing issue. So there's,
4 you know, fish being destroyed by means other than
5 fishing at the existing site.

6 And so as I indicated, I'm not
7 actually directly involved in the -- in the
8 meetings, but DFO does have a Memorandum of
9 Understanding with the Ontario Power Generation,
10 and part of the tables in that process do speak to
11 working with them on impingement entrainment issues
12 as well.

13 And we've also -- CNSC has already
14 given us the sort of heads up that the existing
15 Darlington site will be going through a
16 refurbishment process, and it will be in that
17 process as well that we'll be working with CNSC and
18 OPG on the issue of getting the -- the existing
19 Darlington intake in compliance with Section 32 of
20 the *Fisheries Act*.

21 MEMBER BEAUDET: I believe in this
22 authorization, and I was wondering if it's usually
23 the case, that the authorization states that the
24 DFO may suspend any work or undertaking or
25 activities if, in your opinion, there is an impact

1 greater than what was assessed.

2 Here we have -- the proponent did
3 assess the impact to fish habitat for one thing,
4 and also, too, fish -- I don't know if you call it
5 fish biota in terms of entrainment and impingement.

6 So first we have to establish if
7 we agree with that judgement, and then maybe set
8 higher standards. In the review of the project,
9 for you, do you -- I know that you have proposed a
10 two-metre contour line and possibly longer -- I
11 mean, the structures being placed in deeper waters.

12 I'd like to hear from you with
13 respect to entrainment and impingement. Do you
14 consider that the quantities that OPG said we would
15 have, you know, like 45,000 fish or whatever number
16 of tonnes per year, do you consider that acceptable
17 to start with?

18 MR. HOGGARTH: Yeah, Tom Hoggarth,
19 for the record.

20 The number of whether 45,000 or
21 whatever the actual number is and whether it's
22 acceptable or not acceptable, Fisheries and Oceans
23 work directly with the Ministry of Natural
24 Resources on determining that number.

25 And based on -- on the numbers

1 that OPG has predicted and our discussions with the
2 Ministry of Natural Resources, we would consider
3 that level not significant or not having a
4 significant impact on the fisheries within the
5 Great Lakes.

6 However, it is still a concern,
7 and we would -- we would want to work with OPG to
8 decrease that number as much as possible. And
9 we're speaking to a projection of today's numbers,
10 of today's fish that are going -- are being
11 entrained and impinged.

12 We're also -- because the
13 populations of fish within the Great Lakes are very
14 dynamic and change over time, there may be -- today
15 we'll be saying that the number is not likely
16 significant, but tomorrow, if we -- if we're able
17 to manage the fisheries properly and let's say, as
18 an example, get Atlantic salmon back into the Great
19 Lakes and back at a number that they start showing
20 up at the intake, we will be then, again,
21 requesting more work be done to decrease any
22 potential impact on a species like that if they
23 start showing up.

24 MEMBER BEAUDET: I'd like to go to
25 OPG because I want to stay in this line of

1 questioning. And on one of the recommendation of
2 DFO and the document you submitted to us March 14,
3 2011, on page 6, the recommendation 20, you said
4 that you accept the workshop with Ontario Power
5 Generation and appropriate government agencies to
6 covers different things, but you do say that it has
7 to be aligned to the project as implemented.

8 And I was wondering exactly what
9 you mean here?

10 (SHORT PAUSE/COURT PAUSE)

11 MR. PETERS: John Peters, for the
12 record.

13 This DFO number 20 on page 11, P-
14 1.7 in their PMD, specifically describes the
15 workshop we held and then ongoing work that we
16 would undertake as a commitment as in planning the
17 detailed design work and then implementing those
18 works and monitoring the programs going forward
19 through each stage of the project; that is, through
20 life operating phases, all the three phases that
21 are -- the functional effects on fish may occur.

22 And we -- we accepted this
23 recommendation simply to acknowledge that the
24 specifics might be different in each phase, which I
25 think we've described in the follow-up commitments

1 in other portions of the work.

2 But we accept this in principle
3 and look forward to doing the detailed examination
4 in cooperation with the other agencies.

5 MEMBER BEAUDET: What I had in
6 mind here is more in terms of delays because you
7 may have to add a study to confirm the results and
8 then there would be delays, let's say one year or
9 two years, and when you say that the efforts have
10 to aligned with the project implementation, you
11 know, that came to mind, if you would accept as
12 well delays?

13 MR. PETERS: John Peters, for the
14 record.

15 I think we accept that this is a
16 risk-based assessment, and we have to sit down
17 together and have a meeting of a mind -- of the
18 minds as to what is the critical pieces of
19 information we need for each step in the process.

20 It's a bit premature to say
21 whether there would be delays or whether we can,
22 through the work we're already doing, and I can
23 report that there's field work going on today to
24 address questions that were raised. And OPG
25 doesn't take this lightly.

1 We accept that that is a potential
2 risk that we're carrying, but we believe that
3 there's a good path forward, and we have had enough
4 discussions to believe that this commitment is
5 reasonable for this project.

6 MEMBER BEAUDET: Another
7 recommendation by DFO is number 17. OPG accepts
8 this recommendation if once-through cooling option
9 is implemented, otherwise OPG will pursue the
10 necessary studies and research to allow additional
11 infill beyond two metres.

12 So here, in case there's cooling
13 towers, you won't necessarily accept this proposal
14 or this recommendation without doing further study
15 that would allow you to infill more?

16 MR. SWEETNAM: Albert Sweetnam,
17 for the record.

18 As we have previously stated, if
19 we go to cooling towers, we would need -- depending
20 on the site layout and the optimization of the site
21 layout, the potential is, is that we will need
22 additional lake info. So we can only commit to the
23 two metres infill if there is once-through cooling.

24 MEMBER BEAUDET: I'd like to go
25 back to DFO, then. What is your reaction to such a

1 constraint, because you do impact on habitat in a
2 more significant way?

3 MR. OGGARTH: Yeah, Tom Hoggarth,
4 for the record.

5 Again, the decision that we made
6 coming to the two metres, and I'll explain it in a
7 little more detail that might help, is that it's
8 very hard to -- especially with a species like
9 round whitefish -- to actually go out and say,
10 okay, this is where an egg is, so we know this is
11 the exact spot where they're spawning.

12 So surrogates to actually finding
13 the exact location of the spawning is you look at
14 the habitat first, and if the habitat is, you know,
15 the type of habitat that's typically reported
16 within scientific papers is habitat that round
17 whitefish usually spawn in, you start there. So the
18 habitat there is the type of habitat that they do
19 use for spawning.

20 Then the next thing you look for
21 is, are there adult fish in this area at the
22 appropriate time to suggest that they're spawning
23 there as well. And all the studies that we've done
24 suggest that they are there.

25 And when you check a fish, it's --

1 when you catch a fish during the spawning season,
2 you can easily just squeeze the fish and if the --
3 if the fish releases eggs or releases milk, that
4 indicates that they're ready to spawn and so
5 they're spawning really close to the area. That's
6 the type of evidence we get there as well.

7 Then the third piece of evidence
8 we use as well is, are there larval fish. So
9 larval fish, they're -- they're not big swimmers
10 when they first hatch. So if you're catching
11 larval fish adjacent to the site as well, that's
12 another indicator that the spawning occurred there
13 or adjacent.

14 So because we don't have the
15 information where, you know, here is exactly where
16 an egg is, we use that information as surrogates to
17 say they are spawning in this area. So that's how
18 we've made that decision, is that this area, on a
19 precautionary approach, is considered spawning
20 habitat.

21 And so we would like to see the
22 very minimal amount of impact on spawning habitat
23 for round whitefish as possible.

24 And then so how that then relates
25 to -- so for us, we then look at the literature and

1 where do they spawn, where have people found that
2 they know that eggs are broadcast and laid?

3 It's generally from the two metre
4 to 12 metre depth. So we said, "Okay, we're fairly
5 safe to say then that if the infill is less than
6 two metres, we're not impacting round whitefish."

7 So then that gets us back to the
8 question of, okay, if they have to go beyond two
9 metres, what did that do to our decision process?
10 And one of the things that we -- you know, at this
11 point in time because there's not a specific
12 project -- or a specific reactor type selected,
13 therefore, we haven't had the opportunity to work
14 with OPG to truly optimize the site, it's -- it's
15 completely hypothetical of how much more infill is
16 going to be needed until all that gets in place.

17 But once -- let's say we've got a
18 reactor selected and we've optimized the site and,
19 yes, we do need to go beyond two metres. The type
20 of evidence that would be -- we would like to have
21 to support whether it impacts round whitefish
22 spawning habitat would be, you know, work with
23 divers in the water assessing that area.

24 The risk that we take with that
25 though is that this year the divers might go in and

1 they found no eggs within that area that they want
2 to infill, but -- they are broadcast spawners, so
3 they don't just key into one spot and drop their
4 eggs in one spot.

5 Like, you know, bass, they do
6 that. They make a nest and they put it in the one
7 spot only. A fish like round whitefish are
8 broadcast spawners, so this year they may not be
9 there; next year, they might be. So that's again
10 why we've taken this precautionary approach to the
11 two metre.

12 But again if -- if we've got some
13 time frame, you know, my thought is, is that after
14 the hearing if it's a go-ahead to move forward with
15 the project, there will be that period of time to
16 where, if required, we have to do detailed site
17 assessments to decide what that impact -- the only
18 concern would then be is, well, what if we find out
19 that we are asking or wanting or needing to put
20 infill on the only known spawning area along that
21 chunk of shore? That would be the risk of -- of
22 waiting.

23 MEMBER BEAUDET: I know that in
24 the first week we came -- well, not the
25 realization. I think anybody who has worked in --

1 with the environmental assessment knows the gaps or
2 the paradox between your responsibility and
3 Environment Canada.

4 You have here -- and I'm coming to
5 that now. You have here in the practitioner's
6 guide it says that -- let me see now for the public
7 to refer to it. There's no page numbers.

8 So it would be in section 3.1,
9 that the authorization or the legislative approval
10 issued by the minister which allows otherwise
11 prohibited impacts to fish and fish habitat as
12 stated in subsection (35)(1) and section 32 -- and
13 those talk about no person shall destroy fish by
14 means other than fishing.

15 Here you -- correct me if I'm
16 wrong, but my understanding is there's always a
17 possibility of authorization, so, in a way, no
18 compliance to *The Fishery Act*. In a way, you
19 always allow an authorization to -- with measured
20 or an enlightened judgment as to the destruction of
21 habitat and biota.

22 MR. HOGGARTH: Tom Hoggarth, for
23 the record.

24 It's correct. The way the -- the
25 way the *Fisheries Act* is actually read is, you

1 know, you're not allowed to destroy unless we let
2 you, so the authorization -- or the *Fisheries Act*
3 does allow it.

4 It's our policy which speaks to
5 when and how we allow it. So our policies -- and
6 again, it's very high level, but do speak to
7 whether an authorization is acceptable or not.

8 And again, it's at a high level,
9 so if it puts a population of fish at risk, it
10 would not be considered acceptable. So it's not
11 the Act which says how we issue our authorizations;
12 it's our policy which speaks to that.

13 MEMBER BEAUDET: I'd like to go to
14 Environment Canada now and -- if I can find my
15 papers. What is -- for you, of course, especially
16 in your submission and also in sufficiency analysis
17 that you've done, if I understand well, the big
18 issue is no dilution, and so I'd like to see how we
19 reconcile that.

20 Do you consider, for instance,
21 that the discharge through a diffuser or the
22 methodology that OPG is proposing is considered
23 dilution?

24 MR. DOBOS: Thank you. Rob Dobos,
25 for the record.

1 Mr. Chairman, before we answer
2 that specific question, I'd like to ask your
3 indulgence. If we could just reconfirm who we have
4 on the phone? I didn't catch all of our members on
5 the phone. Thank you.

6 CHAIRPERSON GRAHAM: Yes,
7 certainly we can, Mr. Dobos.

8 Who's on the phone from
9 Environment Canada? Could you identify yourselves?

10 MR. GOFFIN: Michael Goffin.

11 MR. CONWAY: Fred Conway.

12 MR. THOMPSON: Aaron Thompson.

13 MR. YERUBANDI: Ram Yerubandi.

14 MR. CADMAN: Mike Cadman.

15 MS. AUSTEN: And Madeline Austen.

16 CHAIRPERSON GRAHAM: Okay. Thank
17 you very much.

18 Go ahead, Mr. Dobos.

19 MR. DOBOS: Thank you. I'll ask
20 Sandro Leonardelli to take a first shot at that
21 answer and then I might pass that on to one of our
22 experts here. Thank you.

23 MR. LEONARDELLI: Sandro
24 Leonardelli, for the record.

25 I'm going to try and answer it

1 from the perspective of the design of the facility
2 first and then I'll ask Nardia to speak to the
3 *Fisheries Act* requirements, the actual legislation.

4 So in the context of the project,
5 there are a number of things that we have to
6 determine before we can say there's -- there's a
7 deleterious effect.

8 So we spoke here about the
9 precautionary principle as being applied, that
10 we're assuming that there's round whitefish habitat
11 in the area. That being said, we're using the
12 round whitefish action plan to supplement the data
13 to see more definitively what we can determine
14 about that.

15 In terms of the diffuser
16 discharge, it was our position and it was confirmed
17 by the PNNL report that high resolution modeling
18 would be required -- higher resolution monitoring
19 would be required.

20 Now, the high resolution modeling
21 will tell us more about the size of that mixing
22 zone, that dilution zone after the initial
23 discharge.

24 It will also tell us at what
25 temperature we would be expecting that to occur as

1 you go outward from the centre line of the
2 diffuser; so within the first 10 metres, what's the
3 temperature, within the first 50 metres, hundred
4 metres, et cetera.

5 So that would give us a better
6 idea of the temperature distribution, which is
7 important for us in determining whether or not
8 there is actually going to be a thermal effect on
9 eggs at the bottom of the lake.

10 The other aspect of it is what the
11 final design of the diffuser is going to be. For
12 the bounding approach that was used by OPG, they
13 assumed a certain flow volume at a certain
14 temperature, which was nine degrees Celsius at the
15 initial discharge port.

16 There was -- they laid out some
17 options in the November report, The Thermal
18 Mitigations Report, that could potentially change
19 the design of the diffuser in such a way as to
20 reduce thermal impact, so there are those
21 considerations as well.

22 None of those design
23 considerations have been tested with any modelling,
24 so we can't give you a definitive answer as to how
25 effective that would be in reducing thermal

1 effects.

2 And then ultimately it's the
3 location of the diffusers and at what depth and is
4 it near any sensitive habitat where we would expect
5 deleterious effects from the thermal discharge?

6 So those are the sort of design
7 considerations that go into that assessment if
8 whether there is going to be an effect, but within
9 that initial mixing zone, you would expect a higher
10 temperature profile than at the edge of the mixing
11 zone, which is where OPG is saying -- you know,
12 they're defining that as two degrees Celsius.

13 So about from the edge of that
14 mixing zone to where the initial discharge is,
15 there is going to be a temperature grading to cross
16 that, so recognizing that it's a thermal -- that it
17 is a very turbulent zone of mixing initially,

18 So anyway so those would be sort
19 of the technical considerations around it and I
20 think I will ask Nardia -- Nardia Ali to speak to
21 the legislative requirements.

22 MS. ALI: Nardia Ali, for the
23 record.

24 With regard to the legislative
25 requirement, it's very simple. The *Fisheries Act*

1 does not recognize the mixing zones. So when we
2 work, I guess, on OPG on mitigative options, once
3 we know what the final design is or what type of
4 diffuser, we will be trying to have a temperature
5 at the point of discharge that will ensure no
6 deleterious effect. Thank you.

7 MEMBER BEAUDET: Thank you.

8 My second question was in relation
9 to the temperature. As you say, the grading
10 between the center and the edge of the mixing zone.
11 I think there is a range of about nine degrees, if
12 I'm correct. I'm not sure, but I think that's what
13 it is.

14 I would like to know how it is
15 determined, who has decided that the edge would be
16 acceptable to have this plus or minus two degrees
17 centigrade?

18 MR. LEONARDELLI: Sandro
19 Leonardelli, for the record.

20 I'll ask OPG later to confirm
21 this, but when they -- I believe that when they
22 wrote the EIS, they wrote it from the perspective
23 of the -- the Provincial Permitting System, which
24 allows them a mixing zone, so if define that mixing
25 zone based on the temperature that they feel would

1 meet the provincial requirements and so their
2 analysis was based on that.

3 Could OPG confirm that?

4 MEMBER BEAUDET: Yes, please?

5 MR. PETERS: John Peters, for the
6 record.

7 MEMBER BEAUDET: Can I say
8 something first? Because a new reaction -- you say
9 that you will accept -- let me get it here.

10 The recommendation of Environment
11 Canada, 3.2 on the condition that -- on the
12 understanding that the methodology for mean weekly
13 average temperature and the estimates are only
14 required for once-through cooling.

15 I can understand that it doesn't
16 apply to cooling towers, but then I wondered, why
17 do you want to make sure that the methodology that
18 you used has to be accepted? I would presume you
19 would want also the methodology to be accepted for
20 the cooling, once-through cooling.

21 MR. PETERS: Could we get -- I'm
22 not just sure what you're referring to, Madam
23 Beaudet? Could we just make sure that we're on the
24 same page?

25 MEMBER BEAUDET: Sorry about that.

1 MR. PETERS: Thank you.

2 MEMBER BEAUDET: Yeah, it's
3 recommendation in the document March 14th, 2011 that
4 you've submitted to us, page 7, recommendation 25
5 on this document, but in the Environment Canada's
6 submission, PMD 1.6 I think, it's recommendation
7 3.2.

8 And that you accept the
9 recommendation on the understanding that
10 methodologies for mean weekly average temperature
11 and estimates are only required for once-through
12 cooling.

13 Now, when you read this, you -- I
14 mean, it's obvious that it doesn't apply for
15 cooling towers, but my question is, why do you put
16 this condition? Why do you -- you know, that the
17 methodology -- correct me if I'm wrong, I have a
18 feeling here that you don't want the methodology to
19 change or be challenged.

20 MR. PETERS: John Peters, for the
21 record.

22 The point we were trying to
23 illustrate here is that one of the challenges both
24 of us had was understanding exactly where there
25 might be a deleterious effect on the eggs that Mr.

1 Leonardelli has mentioned as being a risk, at risk.

2 And the way that we will need to
3 examine that is through the actual demonstrated
4 performance of a discharge structure that would
5 release heat at some temperature rate. That would
6 be a problem.

7 And so we wanted to make sure that
8 we acknowledge that that's an important question
9 for us to address together and we do accept the
10 recommendation. I don't see any reason why we
11 can't agree on that methodology.

12 The difference that we have
13 pointed to with cooling towers is that we do not
14 anticipate a large mixing zone and a diffuser type
15 structure that would be required.

16 So my understanding is we would
17 have a point of release and we would comply with
18 the temperature requirements without the need of a
19 mixing zone.

20 MEMBER BEAUDET: Thank you. I'll
21 go back to Environment Canada. And is it the
22 understanding that the ambient temperature would
23 change, would be average daily or monthly or --

24 MR. LEONARDELLI: Sandro
25 Leonardelli for the record.

1 Before I answer that, I think I
2 want to clarify something in regards to what Mr.
3 Peters said.

4 In terms of the -- the thermal
5 plume associated with the cooling tower discharge,
6 we did not spend a lot of time reviewing that
7 because that really wasn't the bounding scenario.
8 It wasn't the preferred technology.

9 So I can't really comment as to
10 whether or not there would or would not be a
11 potentially deleterious effect in the same way that
12 we've examined the -- the once-through cooling
13 discharge.

14 They did not propose a diffuser
15 structure, so it was an end of pipe release, so you
16 do not get the same amount of initial turbulent
17 mixing that you would with a diffuser.

18 So the behaviour of that, the size
19 of the potentially thermally impacted zone
20 associated with that, the temperature of that
21 release, which I believe was a hotter release I
22 think is the way it was proposed.

23 That -- I can't comment on that.
24 If it does -- if a decision is made to go to
25 cooling towers, we would be required to run a model

1 on that to determine if there was potentially a
2 deleterious effect or not, so that -- that issue
3 hasn't really been examined as part of this.

4 Now, if I may ask you what was
5 your subsequent question?

6 MEMBER BEAUDET: Excuse me, I
7 missed that?

8 MR. LEONARDELLI: What was your
9 subsequent question? I -- I was responding to
10 OPG's comment and --

11 MEMBER BEAUDET: It was about
12 averages for ambient temperature of the water.

13 MR. LEONARDELLI: Right?

14 MEMBER BEAUDET: What -- what
15 would you consider, I mean daily, monthly?

16 MR. LEONARDELLI: If -- are we
17 speaking about the MWATs, the mean weekly average
18 temperatures? That specifically?

19 MEMBER BEAUDET: Yes.

20 MR. LEONARDELLI: I'll ask Duck
21 Kim to address that question. Thank you.

22 MR. KIM: Duck Kim, for the
23 record.

24 The mean -- the criteria that we
25 use is based on the Canadian Environmental --

1 sorry, Canadian Water Quality Guidelines for the
2 Protection of Aquatic Life. And one of the
3 criteria is maximum weekly average temperature, and
4 that is measured based on a rolling -- seven-day
5 rolling weekly average of daily mean temperatures.

6 So you have a 24-hour average of a
7 daily temperature, and that is -- and the
8 temperature that you would get is a seven-day
9 average of that. So each day would have the
10 preceding seven days averaged into a weekly average
11 temperature.

12 The criteria, however, is based on
13 the physiological optimum temperatures, and the
14 maximum lethal temperature that that species is
15 capable of tolerating. And it's a -- there's a
16 formula for that.

17 And so the rolling seven-day
18 weekly average temperature have to -- for the
19 protection of that species from chronic effects,
20 needs to fall under that MWAT criterion.

21 MEMBER BEAUDET: Thank you.

22 I'd like to go CNSC now. I have a
23 few things or so to -- a few questions regarding
24 fish habitat and biota.

25 In the PMD your submission 1.3,

1 page 69. The last paragraph, I believe this PMD
2 was written before we got the final report from OPG
3 of the fall 2010 fish catch results. The interim
4 report, I agree, had no statistical comparison.

5 I wonder if you had the chance to
6 look at the last -- the final report and would that
7 answer, the point you were raising here, in the
8 last report, did -- did you get your answers?

9 MR. WISMER: Don Wismer.

10 Yeah, the concern here was that
11 with just a single year of -- in this case it was
12 fall round whitefish spawner data, it doesn't allow
13 us to estimate the variability, and that's quite
14 important for a baseline going forward, because if
15 you want to detect change in future due to the
16 project, your ability to detect change is
17 constrained by the variability.

18 If you have a lot more variability
19 then you can only detect a huge change. If you
20 have small variability, you can detect a small
21 change.

22 And the results we got were that
23 the two years were quite close together, and that's
24 what you would hope for. So what means going
25 forward, with that baseline, for the fall Round

1 Whitefish we'll be able to detect low levels of
2 change due to the project.

3 MEMBER BEAUDET: Thank you.

4 I'd like to go to page 86 now.
5 Here in -- in the -- for the second paragraph of
6 recommendation 13, on the next page, and also on
7 the approach of plan adaptive management, and I'll
8 ask OPG afterwards. I'm trying to get at the
9 official definition of adaptive management, and I
10 believe it is not a tool that you can use if you
11 have uncertainties.

12 It is -- usually your follow-up
13 program has to be specific and it is if there's a
14 problem like OPG have proposed, for instance, with
15 the algae, an adaptive management, and that's
16 correct, because then, you know, you know there's
17 going to be a problem and you have to follow up
18 with adjusting by whatever, retrofits or whatever.

19 In the case here, you're
20 recommending, and also Environment Canada and DFO
21 are recommending further baseline studies. We have
22 uncertainties from a scientific point of view,
23 which the precautionary principle allows, but from
24 the determination of the significance of an impact,
25 it's not allowed.

1 So if you propose an adaptive
2 management you have to know to some extent what the
3 impact is going to be. And we've just heard from
4 DFO that there's still great uncertainties as to
5 what the adverse effect is going to be.

6 So I'd like, if possible, from
7 CNSC, comments on that. How do you look at that?

8 MR. WISMER: Don Wismer.

9 On page 86, just prior to the
10 recommendations, you refer to -- there's a bullet
11 about adaptive management. And what that is
12 referring to is that in environmental impact
13 situations like this, we use the best science we
14 can, but it's -- it's really not very good, to be
15 blunt, so we have to be prepared to be flexible and
16 learn from our results. We have to be adaptive.

17 But the other part of it is not to
18 be just passive and sitting, waiting, but decide
19 ahead of time what kind of a result would trigger a
20 need for mitigation or some other management
21 action, like additional monitoring or something.
22 Define that ahead of time, before you see the
23 results, because once you see the results you're
24 biased by them.

25 And this has worked in other

1 instances, and that's what that is getting toward.
2 We'll learn from our results, but before doing
3 studies that could lead to mitigation, we'll define
4 the threshold that -- ahead of time that could
5 prompt management action before we see the results.

6 MEMBER BEAUDET: At a technical
7 meeting back in June 2010 we did discuss threshold
8 definition and threshold -- establishing
9 thresholds.

10 So it's -- your adaptive
11 management strategy would be based, if I understand
12 well, on establishing first the threshold and then
13 if that is exceeded, then the necessary actions
14 have to be put in place.

15 And that could go as far as, in
16 terms of retrofits, et cetera; is that what you're
17 saying?

18 MR. WISMER: Yes. Don Wismer
19 here.

20 And further in that paragraph,
21 near the end it mentions species of conservation
22 status that are not interacting with the existing
23 facility right now to an extent that would matter
24 biologically, but given that the fish community is
25 shifting in response to changes in the food web,

1 ten years from now that may not be the case.

2 So you would need to decide what
3 would trigger the need for further intake
4 mitigation in terms of numbers of Atlantic salmon
5 being impinged, for example.

6 MEMBER BEAUDET: Thank you.

7 I'd like to move with CNSC to
8 cumulative impacts. And on page 88, your
9 conclusion says that EIS effects assessment in some
10 instances presents insufficient or unsubstantiated
11 information on the project's predicted effects and
12 cumulative effects to support a conclusion on
13 significance of the adverse effects.

14 And this is in relation to -- I
15 believe fish habitat -- sorry, cooling water intake
16 and diffuser siting.

17 So what happens if the concerns
18 you raise here are true? What are we supposed to
19 -- to do in terms of recommendations?

20 MR. WISMER: Don Wismer.

21 The reasoning behind this
22 recommendation was that the EIS hadn't brought
23 together all the information on effects on this one
24 species from impingement, entrainment, thermal
25 effects, habitat loss and then there's sewage

1 plants located four kilometres east and west and
2 there's the Pickering station 35 kilometres west
3 that affects the same species.

4 So as part of the round whitefish
5 action plan, one of the items in there is to look
6 at cumulative effects to get a better understanding
7 so we can put the predicted effects of the new
8 nuclear at Darlington in the proper context, and
9 then be in a better position to judge the status of
10 the population and the level of risk and the level
11 of mitigation that would be required.

12 The once-through cooling system
13 does have a number of options that can be added to
14 it to reduce the level of risk as OPG has outlined
15 in the reports they did for Environment Canada and
16 DFO.

17 So if the decision was to go that
18 route, then we would probably have to exercise most
19 of those options to make sure the level of risk was
20 acceptable.

21 MEMBER BEAUDET: Thank you.

22 Mr. Chairman, I finished my
23 questions with regard to aquatic environment. We
24 can come a second round for questions on different
25 topics with Environment Canada, please.

1 CHAIRPERSON GRAHAM: Yes, that's
2 what the plan -- I think we planned.

3 So, Mr. Pereira, on aquatic
4 environment.

5 MEMBER PEREIRA: Thank you, Mr.
6 Chairman.

7 Some of my questions have been
8 covered by Madam Beaudet, but I'll follow up on an
9 issue which she did raise and it concerns the
10 habitat location and DFO talked about how there
11 could be variability from one sampling to the next.

12 But we're talking about a period
13 for up to 60 years of operation and maybe longer so
14 with that in mind, I believe we need to look at
15 more than just two or three sampling years.

16 We need to look over a period of
17 60 years, and to do that, perhaps we've got to look
18 back and look at what experience we have of changes
19 in habitats along the shores of, say, Lake Ontario,
20 what experiences DFO has on variation and habitats
21 over a long period of time.

22 Is there enough information to be
23 able to guide us on the sort of limits to changes?
24 Is it an experience that can guide us as to what we
25 should do or not do, knowing what has happened

1 previously, changes in weather, changes in near
2 shore environment, that happened in cycles, I
3 presume in the lake?

4 So what is Environment Canada,
5 with many years of experience, able to offer us in
6 terms of knowledge of how habitats along the north
7 shore of Lake Ontario are likely to vary over a
8 period of 60 years?

9 MR. HOGGARTH: Tom Hoggarth, for
10 the record.

11 I don't have any of that
12 information with me directly right now, but I do
13 know, again, our sister agency, the Ministry of
14 Natural Resources, has quite an extensive dataset
15 of long-term data on fish populations moving --
16 going up and down and records on populations
17 specifically to fish.

18 And then we have, as well, I know,
19 DFO science has spent within the Great Lakes, has
20 spent time on mapping out habitats over the years.

21 And so there will be and there is
22 datasets out there that we can tap into that, you
23 know, gives us an idea of what -- like, I say, Lake
24 Ontario habitat does over that period.

25 But what needs to be done, we will

1 be looking -- and we can look back at historical
2 data that gives us sort of insights to what might
3 happen in the future, but with something like the
4 Darlington site we've recognized and -- that that
5 is something that needs to be assessed.

6 And so the part of the round
7 whitefish action plan that is a plan that's put in
8 place to not just monitor, let's say habitat,
9 that's out in front of the Darlington, but monitor
10 sites off the Darlington site for comparison.

11 Because if you're just monitoring,
12 let's say, Darlington and all of a sudden you see a
13 change occur, well, is that a change because of the
14 existing Darlington site or the new Darlington site
15 or is that a change because that's a -- a global
16 change that is occurring along the entire north
17 short of Lake Ontario.

18 So any program that we put in
19 place to monitor that, would actually be monitoring
20 other sites so that you can pick up that
21 variability so that if the other -- you know, your
22 reference site is changing as well, that might be
23 the reason why there's a change at Darlington and
24 not specifically just because of the new reactor
25 sites.

1 MEMBER PEREIRA: But my -- the
2 purpose of my question is to develop an approach
3 that's not based on reaction to observations, but
4 is more strategically based on observed patterns
5 and can then define confidence bounds which will
6 guide where we should place something that's going
7 to be in place for a long period of time.

8 And once it's in place,
9 modifications are not that easy because this is a
10 physical construction exercise involving work on
11 the lake. So providing mitigation later is like a
12 band-aid solution whereas I think in something of
13 this size, this magnitude, we need to be more
14 strategic and I believe Fisheries and Oceans should
15 be providing the guidance on the strategy to
16 minimize the risk of impacts on fish over a long
17 period of time, decades.

18 And if we have data to guide us to
19 get there, perhaps we need to look at that and
20 maybe it won't tell us anything, but at least we
21 give it a try and go down that route.

22 Is there something that Fisheries
23 and Oceans can offer as an undertaking to bring to
24 the table for -- to guide our discussions?

25 MR. HOGGARTH: I can take that as

1 an undertaking and we'd have to go to our science
2 branch with that specific question.

3 And so I'll take that as an
4 undertaking that we will go to our science group
5 and pose that exact question to them and what
6 information they have that would allow us or
7 provide us the ability to provide strategic advice
8 on the long-term.

9 MEMBER PEREIRA: Thank you.

10 Another one ---

11 CHAIRPERSON GRAHAM: Sorry, that
12 will be given -- I'll give that Undertaking number
13 70 and because I think it will be quite large, this
14 information to accumulate it, what type of time
15 would you need to do -- to give us some data on
16 long-term planning?

17 MR. HOGGARTH: Yeah, that I'm not
18 too sure. I think that I would go at it in sort of
19 two steps. The first step would be as asking is
20 that information out there and available and
21 finding out?

22 So if our science comes back to us
23 and says, yes, we have the stuff to be able to do
24 that, then the next step would be to put something
25 together that would help us, is the way I would

1 look at the --

2 CHAIRPERSON GRAHAM: Before the
3 end of this week, would you be able to tell us if,
4 yes, it's available, no, it isn't, and if it is
5 available, then give us a timeframe?

6 MR. HOGGARTH: Tom Hoggarth, for
7 the record.

8 I'll do my best. I honestly --
9 going to our science people will have to -- we've
10 got a fairly extensive process of getting advice
11 from our science and so I'll do my best to try and
12 get it to you by Friday, but I just --

13 CHAIRPERSON GRAHAM: No, just if
14 it's a yes or a no, that's all I need by Friday?

15 MR. HOGARTH: Oh, I know, even --
16 even for just a yes or no.

17 CHAIRPERSON GRAHAM: Okay, very
18 good. We'll put that on for Friday and then we'll
19 have it on the agenda.

20 CHAIRPERSON GRAHAM: Mr. Pereira?

21 MEMBER PEREIRA: Thank you.

22 The second question for DFO,
23 again, a more general question. We have heard many
24 intervenors talk about the importance of the near
25 shore habitat or environment.

1 Is there information available
2 that can describe the habitat profile, not only
3 spawning, but fish life along the north shore of
4 Lake Ontario, going out from the shore into the
5 lake so we can have an idea of what sort of habitat
6 existed different distances from the shore and at
7 what point it begins to go down to a level where
8 there is very little? Is that sort of information
9 available?

10 (SHORT PAUSE/COURTE PAUSE)

11 MR. HOGGARTH: Specific to this
12 area, I don't know if there's anything, but there's
13 -- on a general level, there's lots of science out
14 there that does, again, speak to the significance
15 of near-shore areas.

16 And so beyond that, I -- again, I
17 don't think DFO -- well, I know we would not be the
18 keeper of all that kind of information. And as I
19 spoke the last time I was here about this issue
20 around near-shore and so people are saying, well,
21 you know, generally near-shore areas are more
22 productive, and that's true.

23 However, in certain areas like the
24 North Shore where we're working here, there's very
25 high energy zones that, you know, fish just cannot

1 use.

2 So I don't know if there's
3 anything specific. The only thing that we do have
4 for here is, again, some of the information that
5 OPG has provided in the surveys and the continued
6 work that, you know, we're asking for more
7 assessment.

8 And that's what leads us to say,
9 you know, again, for us, where for me -- for us --
10 for DFO, making a decision on what's acceptable
11 impacts or not, it's that information that led us
12 to say, okay, from two metres less, we can accept
13 that, and we know we have the ability to compensate
14 for it.

15 Once we're beyond that, we -- we
16 get ourselves into more significant habitat that is
17 used by fish for spawning and will be harder to
18 compensate for.

19 MEMBER PEREIRA: But what I'm
20 talking about is going beyond that, going much
21 further into the lake, beyond the near-shore.

22 MR. HOGGARTH: Yeah.

23 MEMBER PEREIRA: Is there
24 knowledge of what's out there, or is that an
25 unknown territory?

1 MR. HOGGARTH: There will be --
2 again, I would say for the entire Lake Ontario
3 shoreline, there's -- you cannot pull out a map and
4 get that. There will be areas -- like the Toronto
5 Region Conservation Authority have done a lot of
6 work out in front of -- on the Toronto area, and so
7 they will have mapping that shows, you know, here's
8 what's being used.

9 I do know some of our science
10 people have put together maps of where spawning
11 shoals are located, more so for Lake Trout than
12 other species throughout the lakes.

13 The Ministry of Natural Resources
14 will have that kind of information as well on, you
15 know, habitat types around. But there is no
16 central location.

17 And just as a side note, I did sit
18 for a while with -- on one of the groups for the
19 Great Lake Water Quality Agreement recently, and
20 that is one of the information gaps that's out
21 there.

22 There is no centralized location
23 on specific information for near-shore that, you
24 know, is a process like this would be able to tap
25 straight into.

1 MEMBER PEREIRA: That's
2 interesting in that we have recommendations from
3 Fisheries and Oceans, from Environment Canada, and
4 from the CNSC that one way to reduce the impacts is
5 to move the intakes and the diffuser deeper into
6 the lake.

7 But -- so if there's no real
8 knowledge of what's out there, why do the three
9 agencies recommend -- three departments recommend
10 that? Because you don't know whether you're going
11 to get more significant impacts, or you're not
12 certain?

13 MR. HOGGARTH: Yeah, Tom Hoggarth,
14 for the record again.

15 That recommendation comes
16 basically, again, from the general knowledge that
17 fish are spawning in the near-shore. A definition
18 of near-shore would be where the thermocline starts
19 and stops.

20 Once you get below the
21 thermocline, the areas are not generally used by
22 fish. So, again, this is general information, and
23 so that's why we do need more information.

24 But if I get back to -- again,
25 almost a question like Madame Beaudet asked me.

1 With the numbers that we're getting right now from
2 OPG on the estimates on fish entrainment, and so
3 that's what we'll look at right at the moment, fish
4 entrainment and impingement.

5 Based on our discussions with the
6 Ministry of Natural Resources, these numbers are
7 considered not significant today on impacting on
8 the population.

9 Can we do better? Absolutely.
10 One of the better ways of doing it would be moving
11 it into deeper because there's less chance you're
12 going to have larval drift in the deeper because
13 they're spawning in the shallows, so the fish will
14 be in the shallows.

15 So that's how our recommendation
16 is based, and then further studies will provide us
17 with the specific detail to say that, well, a depth
18 of 20 metres or a depth of 15 metres.

19 We do know that moving it will
20 likely result in less of impingement entrainment.
21 We're just -- today, it's a hypothetical guess of
22 that 20 is better than 15, but we do know that
23 deeper is better.

24 MEMBER PEREIRA: Thank you.

25 I'll go on to Environment Canada

1 now, and you presented to us some results of
2 modeling, and you recommend reducing the mesh size
3 to get more accurate modeling of plumes in the
4 lake.

5 Now, what confidence do you have
6 -- if you go to smaller plume size, what confidence
7 do you have in the results that you will get? What
8 validation is there off the modeling predictions?
9 What are the basic assumptions? And what
10 variability are you likely to have in your
11 predictions going forward?

12 So the question is really, once
13 you get these predictions with smaller mesh sizes,
14 how confident are you that what you get out of that
15 will be truly representative of the likely hazards?

16 And I say this because modeling is
17 often a function of what assumptions go into it,
18 and the variability of your inputs. You can assume
19 certain inputs, but they're not -- because you're
20 talking of a lake and you're talking about wind and
21 you're talking of conditions that are not very
22 precisely measureable with time.

23 Like, there can be tremendous
24 variations using mean -- mean averages and so on.
25 So the outcome being, then, that the impacts are --

1 have to be stated with confidence bounds.

2 Can you comment on that?

3 MR. LEONARDELLI: Sandro

4 Leonardelli, for the record.

5 I certainly will comment on that.

6 And I think also you're seeking strategic

7 considerations, and I thought maybe I could provide

8 some perspective on that question that you asked

9 the DFO.

10 In terms of the mesh size, I
11 believe it was PNNL a few days ago put up a graphic
12 that showed what happens when you have a large mesh
13 size. You have a large degree of averaging within
14 that, and then when you go to the next grid beyond
15 that one, you have additional averaging within
16 that. So it's a gross scale of averaging. So you
17 can't see some of the finer effects.

18 So I'm -- I'm not sure -- we
19 certainly noted this in our commentary -- our
20 written comments regarding the OPG modeling, but it
21 -- it hasn't really come up for discussion here.

22 I want to point out that their --
23 their existing modeling at the current mesh sizes
24 that they're using and with the atmospheric --
25 sorry, the meteorological data that they chose, it

1 -- it is tending to over predict temperatures at
2 the bottom of the lake when you're at temperatures
3 of less than five degrees.

4 So when you take a look at their
5 calibration statistics, the -- which was something
6 that we had asked questions about, the model tends
7 to be much more accurate in terms of making
8 predictions that are calibrated to actual
9 measurements that were made in the lake at higher
10 temperatures.

11 But when you get below five
12 degrees Celsius, which is really important because
13 that's the -- we're talking about low temperatures
14 in the wintertime when the eggs are potentially
15 being exposed to thermal effects, the statistics
16 showed that the modeling tended to over predict
17 potentially the temperatures.

18 So it -- on that basis, it -- you
19 know, we can't say definitively that the
20 temperatures that have been predicted by their
21 model are going to be deleterious. A higher
22 resolution model would allow us to get a better
23 sense of what those actual temperatures would be.

24 Of course, it would have to be run
25 with a finer mesh, and we asked for meteorological

1 data and lake current and temperature data -- data
2 that was collected in the vicinity of the actual
3 facility as opposed to using the meteorological
4 data from Trenton.

5 So that would give us a better --
6 a better confidence that what the model is
7 predicting is going to be what we would expect to
8 be occurring in the environment when a discharge is
9 actually occurring.

10 So from that perspective, that's
11 why we had asked those questions and why we're
12 asking for those -- for that data to be collected
13 and then -- you know, and the models rerun.

14 So I hope that answers your
15 question in terms of how we would look for the
16 modeling to produce better results.

17 MEMBER PEREIRA: Yes, it does in a
18 sense, but what I'm questioning is, you know,
19 you're looking at a fairly low temperature, and how
20 confident are you that what you're actually
21 modeling is truly what is happening there?

22 Because, you know, you can improve
23 the accuracy, but if you're starting assumptions,
24 you know, just to guess at what should -- what you
25 think is appropriate, you could be quite far out,

1 unless you have measurements and you replicate
2 actual patents in the spawning area fairly well,
3 you could think you're getting a better prediction.
4 You're getting more accurate mixing modeling, but
5 you may not be representing truly what's happening
6 in the lake.

7 And that's the challenge of
8 modeling from past experience. I know that
9 happens, that the scientists come in with piles of
10 computer output that high, but they can be
11 invalidated by challenging one of the basic
12 assumptions. That quite often happens.

13 I mean, is this something -- and
14 you've done modeling. Environment Canada has done
15 modeling for a number of years. So you must have
16 some experience of how valid and what confidence
17 you can have in the results given the fact that
18 you're looking at fairly tight margins on impact or
19 no impact, given the temperature in the lake in the
20 winter, and the temperature rise in the water. So
21 this is -- this is indeed a challenge.

22 Any comments of that?

23 MR. LEONARDELLI: It is true,
24 modelling is always challenging to get that truly
25 representative analysis, but that is the tool that

1 allows us to make the best predictions that we can.

2 Now, our comments reflect the type
3 of things that we think need to be done in order to
4 give us the best confidence to the extent that you
5 can put confidence in modelling.

6 Now, I'm not sure if Ram is -- is
7 he available to speak to this? Okay.

8 We can -- I can ask him to speak
9 to this in greater detail, but before I do, the --
10 there would be follow-up measurements that would be
11 done during actual operations to validate the
12 predictions.

13 Now, of course, you've already got
14 a diffuser built and in place and you'll have all
15 that cost structure, et cetera, et cetera. And so,
16 you know, it's -- to your earlier point about that.

17 But anyways, I'll ask Ram to speak
18 to it he wishes in greater detail on this and then
19 I'll go to the strategic comments.

20 MEMBER PEREIRA: Can I just
21 comment on that? And that's the point. Once you
22 get to an installed system, it's too late.

23 And with modelling I think if
24 there isn't adequate confidence in the adequacy of
25 the modelling, perhaps the way to go forward is to

1 take a precautionary approach and to say that this
2 challenge is too difficult to model given the very
3 tight constraints we have on what we're trying to
4 achieve in the lake.

5 But that's where I come back to
6 Environment Canada to say, is this a challenge that
7 we can effectively manage, given the modelling
8 challenge, or do we need to take a more
9 precautionary approach?

10 MR. LEONARDELLI: Sandro
11 Leonardelli, for the record.

12 Well, I guess in terms of the
13 detailed response to your question about the
14 accuracy of the modelling, I think I'll let -- I
15 think I'll let Ram Yerubandi speak to that first.

16 But then I will come back because
17 I understand you're getting to a service strategic
18 question, which you posed to DFO, and I can comment
19 on that afterwards.

20 Ram, are you there?

21 MR. YERUBANDI: Ram Yerubandi on
22 the phone and thanks for the question actually.

23 I would like to point out that the
24 consultant for OPG has actually used a fair bit of
25 state of the art models for the far-field model

1 that is away from the diffuser and from the mixing
2 zone.

3 In fact, that's not the major
4 issue here. The question that exists is the
5 resolution. The resolution of -- the smallest
6 resolution is around 90 metres in the model.

7 Most of these models predict
8 conservative kind of output. So what the
9 predictions are, are a little bit conversvative.
10 So that's already been calculated in this.

11 With higher resolution, obviously,
12 we would expect the model to perform well mainly
13 because in any of this lake or river or any of the
14 surface waters, we do know that the models
15 represent some processes quite well, and those are
16 the processes that in a (inaudible) sense gives us
17 a reasonable confidence.

18 And in this diffuser/intake type
19 of situations, we do need much finer resolution
20 than what it is right now.

21 Another reason for that is the
22 diffuser itself is modeled with a model, jet plume
23 type of model, which gives conservative estimates
24 but it was incorporated in the larger scale model.

25 So in order to do those things,

1 there was some kind of approximations used there.
2 Avoid a little bit of those things by going into
3 higher resolution and our confidence will increase
4 a bit more, but as the panel member said, in a
5 model obviously there will be always some
6 uncertainties.

7 And some of the uncertainties that
8 can be really taken care of probably like
9 meteorological forcing - if it is closed by then
10 you already have provided a reasonable and
11 meteorological forcing.

12 And then if the model can take
13 care of the ice conditions, then that's another
14 thing that you have already taken care of.

15 So these are some of the things
16 that we suggested that by incorporating those, we
17 would have slightly or much better predictions than
18 what we have right now.

19 I hope -- did I answer the
20 question or?

21 MR. LEONARDELI: Sandro
22 Leonardeli, for the record.

23 Thank you, Ram. If there's a
24 follow-up for Ram? No. Okay.

25 So I'll try and attempt your --

1 I'll try and address your strategic guidance
2 question.

3 If you take a look at the -- at
4 the three submissions from DFO, CNSC, NEC, there is
5 strategic guidance in there. We just haven't
6 packaged it as, you know, here's your final answer
7 necessarily.

8 But some of the strategic guidance
9 in there is, for example, the concern about
10 cumulative effects and taking a look at cumulative
11 effects from infilling, impingement entrainment,
12 from thermal effects, from potential loss of
13 habitat to do degradation of the artificial
14 embayment. I'm just going from memory here.

15 So, I mean, that is a strategic
16 consideration. Climate change needs to be factored
17 into this assessment. You yourself noted you're
18 looking at a 50 to 60-year time frame of
19 operations.

20 So although there's a great
21 uncertainty about what specifically will happen,
22 both in terms of the magnitude of temperature
23 changes in the atmosphere and in the lake, and then
24 ultimately how that affects species distribution,
25 spawning habitat distribution, there's a lot of

1 uncertainty about that.

2 There's uncertainty about what
3 species will be around. There could be invasive
4 species that alter the biological dynamics of the
5 lake and you end up with a different species
6 structure. So there's -- there's a lot of
7 uncertainty there.

8 But you do need to take into
9 account what could arise as a result of climate
10 change and factor that into your -- into your
11 overall recommendation on what approach to take.

12 We talked about putting structures
13 further offshore, and I think -- I think Tom spoke
14 to that quite well, and even answered your question
15 in terms of, you know, the thermocline and -- and
16 then the habitat, is it out at 15 metres or 12
17 metres, et cetera.

18 There have been a lot of
19 discussions about impacts from cooling towers
20 versus impacts from once-through cooling.

21 You've certainly heard PNNL's
22 assessment of what they felt the relative magnitude
23 of impacts would be within the aquatic environment.
24 And I don't think I need to speak further on that.

25 But from a thermal modeling

1 perspective, in terms of, you know, you're taking a
2 look at cooling tower discharge versus once-
3 through. As I said, we didn't look at it in
4 detail, but the -- what I can speak to is that the
5 volume would -- the volumes of the water being
6 discharged would be much smaller.

7 I believe it's only the water from
8 the blow-down circuit, probably in the order of
9 five to ten metres cubed per second. I can't speak
10 to that specifically. OPG could probably quote you
11 the exact number, as opposed to 250 meters per --
12 meters cubed per second, assuming four reactors.
13 So there is that. The other thing is, well,
14 there is a trade off. We've heard OPG say that if
15 you go with cooling towers, we might -- they might
16 need additional infilling.

17 Okay, that's a valid point, but
18 then you have to take a look at the site layouts,
19 and I believe Mr. Sweetnam had mentioned depending
20 on site optimization.

21 You need to take a look at what
22 you can realistically keep on land as opposed to
23 needing for additional infill and I guess we don't
24 have any answers on that as yet because we don't
25 have a detailed reactor design.

1 But you know, there were some
2 questions that were raised through the information
3 request process about, well, you know, can you move
4 the railroad or can you -- can you put some of your
5 facilities north of the railroad, if you're
6 assuming you're not moving the railroad? But I
7 think there were other creative site management
8 options that could have been explored.

9 For example, there is the Site
10 Visitor Centre, which, you know it's a great public
11 relations tool, but it doesn't necessarily have to
12 remain where it currently is. And does that allow
13 you to put additional fill over there, for example,
14 or some of your less important auxiliary facilities
15 or is that the location where you can put bank
16 swallow habitat if you're creating new nests?

17 There is an assumption that a Holt
18 Road road needs to exist. There are other roads on
19 the property that could be considered as the main
20 access into the property, either the -- on the east
21 and the west of the facility that you could
22 potentially build roads there or upgrade the
23 existing roads in order that you have additional
24 flexibility in the middle of the property for
25 laying out your fill, for example.

1 So strategically, there are a lot
2 of things that could go into this type of analysis.

3 Anyways so I just thought I would
4 try and address some of that.

5 MEMBER PEREIRA: Thank you, you
6 answered my next question in passing, but thank you
7 very much.

8 CHAIRPERSON GRAHAM: I just have a
9 question for Mr. Hoggarth.

10 Is there enough knowledge to know
11 that if the line went out further into the lake to
12 a deeper depth that it would be less intrusive on
13 fish habitat? Is there enough knowledge to know at
14 least that?

15 MR. HOGGARTH: Tom Hoggarth, for
16 the record.

17 Absolutely. Again, you know,
18 we're looking specifically, and as I talked to
19 originally, we're basing or we're using a round
20 whitefish as a surrogate for the production of all
21 fish.

22 We've done that because we feel
23 that round whitefish are -- would be the most
24 sensitive species in this area.

25 We do know the literature does

1 speak to spawning depths of four -- or two to 12
2 meters. So if we get the intake out of the
3 12-meter zone and the diffuser out of the 12-meter
4 zone, we know that we should have, and we would be
5 confident that we have less impact on round
6 whitefish.

7 And as they are the most sensitive
8 species here, you know, we could -- that in itself
9 would be protecting the aquatic side of it.

10 CHAIRPERSON GRAHAM: But would
11 that be intruding on another species, another
12 habitat? Have you enough knowledge to know that
13 that that's not the habitat -- it's not round
14 whitefish, but another habitat out further? Is --
15 have you enough knowledge on that?

16 MR. HOGGARTH: Tom Hoggarth, for
17 the record.

18 It will be habitat for another
19 species absolutely. You know, if -- one fish
20 that's out there in large numbers right now, and on
21 some levels to our chagrin, is the round goby.
22 They will be there.

23 Other fish will be using it as
24 transitory habitat, but I -- we don't have any
25 information. This is stuff from OPG as well that

1 there would be another species. Let's say, like,
2 lake trout or another species out there spawning
3 and using this area that we have concern about
4 right now.

5 CHAIRPERSON GRAHAM: The other
6 question I have is, do you have a -- is there a
7 lake-wide management plan? I know it would take in
8 two countries and so on, but do you have such a
9 thing as a lake-wide management plan?

10 MR. HOGGARTH: Tom Hoggarth, for
11 the record.

12 No, Fisheries and Oceans doesn't,
13 but I do know that on the Minister of Natural
14 Resources sits down with the United States and come
15 up with an actual fisheries management plan, sort
16 of a co-management agreement between them on how to
17 look after the fisheries of Lake Ontario.

18 CHAIRPERSON GRAHAM: So that's
19 province to state more or less rather than federal
20 government to federal government?

21 MR. HOGGARTH: Yeah, that's
22 correct.

23 CHAIRPERSON GRAHAM: Okay.
24 Environment Canada and Mr. Dobos?

25 MR. DOBOS: Mr. Chairman, I might

1 ask Mike Goffin who is on the phone who would be
2 able to speak to lake-wide management planning for
3 Lake Ontario.

4 CHAIRPERSON GRAHAM: Certainly.

5 MR. GOFFIN: So Mike Goffi, for
6 the record.

7 Under the Canada/U.S. Great Lakes
8 Water Quality Agreement, there is a provision for
9 development of lake-wide management plan and there
10 is a lake-wide management plan in effect for Lake
11 Ontario, but the provision of the agreement is
12 really to use that plan to identify impairments to
13 the lake and to coordinate actions of Canada and
14 the U.S. at Federal State and Provincial levels.

15 So it's a higher level plan
16 focused on analysis of available monitoring
17 information and directed at identifying priorities
18 on a lake-wide basis for action.

19 CHAIRPERSON GRAHAM: Thank you.

20 Mr. Sweetnam, I think you wanted
21 to ask something. Madam Beaudet has another
22 question of DFO and the Environment Canada and then
23 we're going to take a break because we still have
24 more topics to resolve here.

25 So Mr. Sweetnam, I'll give you

1 just -- do you have a question or a comment?

2 MR. SWEETNAM: Albert Sweetnam,
3 for the record.

4 Just two quick clarifications we
5 would like to offer, Mr. Chair.

6 One is that both the Environmental
7 Canada and DFO have been indicating that a choice
8 of reactor type actually drives the size of the
9 infill.

10 This is not correct as indicated
11 in our submission of the 16-layer drawings and
12 again, in the Undertaking number 29 where we show
13 quite clearly that with once-through cooling, all
14 of the reactor types actually fit on the site.

15 So the actual infill is determined
16 by the selection of the cooling technology, which
17 is why OPG was really requesting the Panel to make
18 a decision on the cooling technologies so that we
19 could get the work on the license to prepare the
20 site underway.

21 And the other issue we wanted to
22 comment on was on the modelling and I'll ask John
23 Peters to do that.

24 MR. PETERS: John Peters, for the
25 record.

1 The simple clarification that we
2 wanted to just provide is that OPG has been working
3 at the Darlington site since the mid '70s to
4 identify the optimum location for intakes and
5 discharges.

6 We've relied on that information
7 and provided it as a basis for an improved design
8 that we are proposing in this case.

9 The 10-meter depth and the six-
10 meter -- the 10-meter depth for the minimum was
11 identified in those early studies and we continue
12 to believe it's a good starting point and we accept
13 a need for further refinement going forward.

14 The other point is that with
15 regards to temperatures, this is an ideal situation
16 and we have actually provided actual measurements
17 of the diffuser performance at its boundaries based
18 on hour-by-hour, day-by-day, year-long studies,
19 which we have provided to the -- as a basis for
20 developing modelling.

21 Going forward, we will only
22 improve that information and it will be based on the
23 real baseline data, as was suggested in the design
24 of a fine-mesh analysis tool.

25 So I believe that we have a good

1 foundation now for making our predictions of
2 effects and that can only be more precise going
3 forward. And we have no doubt that we will be able
4 to demonstrate a satisfactory intake and diffuser
5 as a result.

6 CHAIRPERSON GRAHAM: I'll go then
7 to Madam Beaudet.

8 I was going to finish up this
9 topic, but if you want, now we'll take a break.
10 We've been here for over two hours.

11 So we'll resume at four o'clock.

12 --- Upon recessing at 3:45 p.m. /

13 L'audience est suspendue à 15h45

14 --- Upon resuming at 4:00 p.m. /

15 L'audience est reprise à 16h00

16 CHAIRPERSON GRAHAM: Welcome back
17 everyone and take your seats, please, so we can
18 continue with information required -- being
19 required from DFO and Environment Canada.

20 And, Mr. Pereira, I think you were
21 finished on that line of questions.

22 Madam Beaudet?

23 MEMBER BEAUDET: Thank you, Mr.
24 Chairman.

25 I just had one more question for

1 DFO. I was wondering if you had considered a
2 specific technology for acoustic deterrence that
3 you -- there's a proposal in the compensation
4 action plan of OPG, that it is a possibility to
5 reduce entrainment.

6 And we had a gentleman the other
7 day who came and talked about how the diffuser was
8 developed for the existing site and he did mention
9 one -- well, I don't know if you can call it a
10 technology because it was rather primitive, just
11 making noise with a drum and I'd like to have your
12 comments on that, please?

13 MR. HOGGARTH: Yeah, Tom Hoggarth,
14 for the record.

15 At this stage, no, we would have
16 no specifics around which of the acoustic
17 technologies would be best for, you know, the needs
18 at the Darlington site.

19 And we would need to be working
20 with CNSC because I think they have more
21 information on this, as well as OPG and just
22 reviewing what the technologies are out there
23 because again, I've -- you know, at a very high
24 level I've read lots of literature on this and
25 there are different types of acoustics that do

1 work.

2 Some work better for one fish
3 species than others and so we would need to sit
4 down and figure out which one is the best under the
5 situation.

6 And again, that's the kind of
7 stuff that comes at the detailed engineering phase
8 so as long as we've got the agreement that, yes, we
9 will look at acoustics and if we set parameters
10 whereby you now must institute acoustics, if OPG is
11 good with that, we would sit down and discuss, you
12 know, what are our best options and what type of
13 instrument would give us the best improvement on
14 fish impingement and entrainment.

15 MEMBER BEAUDET: I'd like to go to
16 CNSC on this.

17 Do you have any data or evaluation
18 in terms of impact because I presume that whatever
19 technology would cause some impact as well?

20 MR. WISMER: I believe that
21 question was with regard to acoustic and you heard
22 Dr. Christie here earlier in the week. And
23 acoustic technology is installed and working on the
24 side of the lake at the Fitzpatrick Nuclear
25 Generating Station.

1 It's very effective for alewife
2 which right now is, along with round goby, one of
3 the most common species being affected and
4 alewife's valued because it's food for salmon and
5 trout.

6 It also works for Atlantic salmon.
7 You heard that from Dr. Christie and that may be a
8 species in future that shows up more frequently,
9 that we're hoping will come back to Lake Ontario.

10 In Europe a different system has
11 been used and it's now required in the U.K. for new
12 facilities to use acoustic deterrence. The other
13 thing I could offer is I see Dr. Paul Patrick in
14 the audience and he's done a lot of work directly
15 on this, if you wanted to talk to him.

16 MEMBER BEAUDET: Yes, please.

17 MR. PETERS: Madam Beaudet, John
18 Peters for the record.

19 Paul Patrick -- Dr. Paul Patrick
20 is a member of OPG's team and has been involved in
21 the project since the beginning.

22 DR. PATRICK: Dr. Paul Patrick,
23 for the record.

24 As Don Wismer correctly has
25 indicated, acoustics are being used at a couple of

1 locations, at the Fitzpatrick plant on Lake Ontario
2 as well as at the AEP Cook on Lake Michigan.

3 It's also noteworthy that
4 acoustics is also being used at the Lambton
5 facility -- OPG's Lambton facility, which is on the
6 St. Clair River. The only point to make here is
7 that acoustics is designed and does work, but is
8 very specie specific.

9 What this means is, for example,
10 it can be designed to work well for alewife,
11 gaspereau on the East Coast which is -- basically
12 at the Fitzpatrick plant and the AEP Cook plant,
13 Red Lambton, it was designed for gizzard shad.

14 Again, it's used in Europe as
15 well, primarily for pelagic-type species. So
16 tensor worked better for the pelagic-type fish.
17 These are fish that basically live in the open
18 water column, whereas the ones that are more
19 benthic, it doesn't appear to be as effective.

20 Just adding to that is that the
21 porous veneer system that we have, one thing that
22 has not been mentioned about it is that one of the
23 really unique features of this is that it has a
24 very low approach velocity.

25 And this is very critical if you

1 look at the literature in the U.S. EPA requirements
2 and so forth, that if you have a low approach
3 velocity such as .5 feet per second or .15
4 centimetres per second or metres per second, it is
5 very important in having this criterion for
6 reducing fish impingement.

7 And we have that not only for the
8 existing facility, but also for the proposed
9 project. And I think that's really important at
10 this point.

11 Thank you.

12 MEMBER BEAUDET: Thank you.

13 CHAIRPERSON GRAHAM: Thank you.

14 Just one bit of information. I'm
15 advised that the CWS expert has to leave the line
16 at 4:15. So do we have any questions for Canadian
17 Wildlife Services?

18 Madam Beaudet, would you have any
19 questions for Canadian Wildlife Services?

20 MEMBER BEAUDET: No, I don't.

21 CHAIRPERSON GRAHAM: Mr. Pereira?

22 MEMBER PEREIRA: No, I don't.

23 Thank you.

24 CHAIRPERSON GRAHAM: Okay. Well,
25 that gives you the clearance then to go, but stay

1 around till 4:15 just in case, there might be an
2 afterthought.

3 Questions now with regard to
4 emissions. I think, Madam Beaudet, do you want to
5 start that to Environment Canada?

6 MR. HOWDEN: Mr. Graham?

7 CHAIRPERSON GRAHAM: Yes.

8 MR. HOWDEN: It's Barclay Howden.

9 CHAIRPERSON GRAHAM: Yes, Mr.
10 Howden?

11 MR. HOWDEN: Could we make a
12 comment before we leave this topic?

13 CHAIRPERSON GRAHAM: Certainly.

14 MR. HOWDEN: Thank you.

15 MR. McALLISTER: Thank you. It's
16 Andrew McAllister for the record.

17 As Mr. Howden mentioned, on
18 discussions around infill, we've had the
19 opportunity to look at OPG's response to
20 undertaking number 29 which had the revised layouts
21 with the two-metre depth contour.

22 When we compared it to what they
23 had previously put on, earlier I believe in
24 response -- earlier IR and the review process,
25 their drawing series D0045, when we looked at the

1 hybrid cooling areas and the mechanical draft
2 cooling areas that are depicted on these new set of
3 drawings, they appear to be larger in size than
4 what was on this older series of drawings.

5 And we're asking if they could
6 possibly clarify that for us?

7 CHAIRPERSON GRAHAM: Can we get
8 some clarification?

9 MR. SWEETNAM: Albert Sweetnam,
10 for the record.

11 I'll ask Don Williams to respond.

12 MR. WILLIAMS: Don Williams for
13 the record.

14 If you look at the hybrid cooling
15 areas, I believe you will find they are the very
16 same within the ability of the sketch.

17 For the mechanical cooling, you
18 are correct in that we have gone back and looked at
19 a more realistic or feasible site as we've further
20 refined and optimized the site.

21 So you'll notice on the mechanical
22 cooling, although they're the same area, they are a
23 bit narrower which does force or push the area out
24 onto the lake infill a bit more.

25 CHAIRPERSON GRAHAM: Does CNSC

1 have any other comment?

2 MR. McALLISTER: No, perhaps we'll
3 follow up with OPG on the matter just to make sure
4 we're clear on the understanding on that.

5 CHAIRPERSON GRAHAM: And the panel
6 members here have to -- may have questions on
7 undertakings also which will be dealt with once we
8 get a chance to work on them. We've been working
9 on other things at this time.

10 Madam Beaudet, do you want to go
11 ahead now with your questions?

12 MEMBER BEAUDET: Yes. It's
13 addressed to Environment Canada. We did cover some
14 of the emissions, I think it was yesterday,
15 conventional emissions and as you mentioned you
16 would have to know -- be about to review when the
17 technology is chosen. I have a question regarding
18 acetic acid and I'm not sure if it's Environment
19 Canada or Health Canada.

20 Some provinces do have a limit or
21 an order and, for instance, Quebec it's 90
22 micrograms per cubic metre for emission every 15
23 minutes. And that's when they recognized that 50
24 percent of the people would be able to smell the
25 odour of acetic acid, this being because if it

1 comes to a certain quantity, people can faint.

2 So it's better that you know, you
3 can detect the odour. And I was wondering if you
4 have any information on that? I don't think
5 Ontario has any standards. We tried to find, but
6 maybe you can help us with that?

7 MR. LEONARDELLI: Sandro
8 Leonardelli for the record.

9 The -- I mean it would be -- I
10 believe the -- the province would have the -- the
11 appropriate standards for this.

12 If they don't have it, then you'd
13 have to consult with Health Canada to see what the
14 federal standard would be. We didn't review it in
15 the context of standards.

16 We did note that it was one of the
17 substances that they had put a bound on in terms of
18 they prorated emissions from the existing facility
19 as a means of estimating what might be released
20 from -- from the new facility.

21 That would -- of course, would
22 have to be verified afterwards, but in terms of the
23 standards, I couldn't speak to that.

24 MEMBER BEAUDET: We'll check with
25 Health Canada. I believe they're here tomorrow.

1 Thank you. That's all my questions, Mr. Chairman.

2 CHAIRPERSON GRAHAM: Mr. Pereira?

3 MEMBER PEREIRA: No further
4 questions. Thank you.

5 CHAIRPERSON GRAHAM: Well, that
6 then takes us to the next part of our agenda and we
7 go to various people from the floor. And I first
8 go to OPG.

9 Do you have any questions
10 regarding Environment Canada or Fisheries and
11 Oceans?

12 MR. SWEETNAM: Robert Sweetnam.
13 No questions. Thank you.

14 CHAIRPERSON GRAHAM: CNSC?

15 MR. HOWDEN: Barclay Howden. No
16 questions. Thank you.

17 CHAIRPERSON GRAHAM: Other
18 government departments other than Fisheries and
19 Oceans and Environment Canada? Do you want to ask
20 yourself a question, Mr. Leonardelli?

21 MR. LEONARDELLI: Sandro -- Sandro
22 Leonardelli for the record.

23 Yes, I like being asked questions,
24 so why not?

25 No, actually, the thing I wanted

1 to point out, after -- during the break, we had
2 discussed the questioning about the 20 metres and
3 the issue of fish species. I think Tom was going
4 to speak a little bit more about -- no? Duck, was
5 it you, going to speak --

6 CHAIRPERSON GRAHAM: Did you want
7 to ask DFO a question?

8 (LAUGHTER/RIRES)

9 MR. LEONARDELLI: I think I'm
10 being hung out to dry here.

11 CHAIRPERSON GRAHAM: Maybe you'd
12 share with us what was discussed?

13 MR. LEONARDELLI: Yeah, I -- I
14 think Nardia can help. Hang on a sec.

15 (SHORT PAUSE/COURTE PAUSE)

16 MS. ALI: Nardia Ali, for the
17 record.

18 After Tom answered his question
19 about what species, you know, we'd be able to
20 diffuse or whether there'd be other species using
21 that space, it occurred to me that he didn't
22 mention that we picked round whitefish because it
23 is -- it is one of the most sensitive species out
24 there.

25 We feel that in addressing the

1 concerns of thermal impacts around round whitefish,
2 it would also cover off, you know, possible impacts
3 with less sensitive species. So we just -- I just
4 wanted to make that point.

5 CHAIRPERSON GRAHAM: Thank you
6 very much.

7 MS. ALI: Thank you.

8 CHAIRPERSON GRAHAM: Now, we will
9 go to questions from -- since no other government
10 questions, go to questions from the floor and I
11 believe Joanne Bull from Lake Ontario Waterkeepers.
12 And you have several questions and please keep them
13 concise and we'll try and deal with it as quickly
14 as possible. Thank you.

15 --- QUESTIONS BY THE PUBLIC TO ENVIRONMENT CANADA
16 AND FISHERIES AND OCEANS:

17 MS. BULL: Thank you, Mr. Chair.

18 First, we've been told informally
19 that there will not be a time scheduled to ask
20 questions on the undertakings that have been
21 answered.

22 Can I ask for a ruling on this
23 since there's been a lot of information and much of
24 that is on the record now, but we haven't had the
25 opportunity to ask questions?

1 CHAIRPERSON GRAHAM: Yes, I'll
2 have to take that under advisement because we don't
3 even have all the undertakings in yet, so I'll have
4 to take it under advisement and we'll advise you.

5 MS. BULL: So my question for Mr.
6 Chair in regards to the presentation, we've heard
7 Environment Canada refer to deleterious effects.
8 For clarification, discharging a deleterious
9 substance is a criminal offence regardless of
10 whether it causes an effect.

11 We know that neither Environment
12 Canada, DFO, nor this panel can authorize discharge
13 of a deleterious substance.

14 Can we just have clarification as
15 to how the modeling and mixing information that
16 we've heard is relevant to the *Fisheries Act*?

17 CHAIRPERSON GRAHAM: DFO or --
18 I'll go to -- I'll go to Environment Canada first.

19 MR. LEONARDELLI: Sandro
20 Leonardelli for the record.

21 I think I'll let Nardia speak to
22 the -- to the legislative aspects of that.

23 In terms of the modeling, I can
24 speak to that afterwards, how it's relevant. I
25 believe the question was how is it relevant -- how

1 is the modeling relevant to the -- to the --

2 MS. ALI: To the *Fisheries Act* --

3 MR. LEONARDELLI: Okay.

4 MS. ALI: -- which prevent
5 deleterious substance discharge?

6 CHAIRPERSON GRAHAM: I don't think
7 they were asking with regard to the legislative
8 part, just how you deal with it, so maybe you can
9 clarify that?

10 MR. LEONARDELLI: Well, okay. The
11 question about the modeling, the modeling is
12 determining the temperature at any particular point
13 in space within the lake that -- that would be
14 expected or could reasonably be expected based on
15 the -- on the bounding scenario.

16 So we then take a look at those
17 predicted temperatures and if -- assuming -- if
18 there was habitat there -- in this case, the round
19 whitefish is the one that we've all been speaking
20 about because it's the most thermally sensitive.

21 We then make a determination
22 against the -- the criteria which are the -- the
23 MWATs, the mean weekly average temperature and
24 there's also a short-term maximum temperature
25 that's looked at.

1 So if we know habitat exists in a
2 certain area and we know what the temperature
3 effect in going to be in that area, we can then see
4 if those -- those criteria are being exceeded. If
5 the criteria are being exceeded, then -- then that
6 would be deemed to be deleterious.

7 MS. ALI: Right, that's a
8 clarification that would go to deleterious effect,
9 which is sentencing rather than deleterious
10 substance, which is what the Act prohibits.

11 MR. LEONARDELLI: Okay. And that
12 was the aspect that I was referring to, the
13 legislative part, in -- in terms of how a
14 deleterious substance is defined.

15 So perhaps Nardia could speak to
16 that?

17 MS. ALI: Nardia Ali for the
18 record.

19 I'll try, but you are correct,
20 that the Act does specify that the substance --
21 like you don't have to have a deleterious effect if
22 -- if it's deleterious at the point of discharge.
23 And the *Fisheries Act* prohibits deposit of
24 deleterious substance unless it's authorized by
25 regulation.

1 And this is why, I guess, earlier
2 in the -- in the panel I had mentioned that OPG has
3 asked for regulatory certainty and Environment
4 Canada will be looking at options to give that
5 certainty to ensure that there is compliance with
6 the *Fisheries Act* for deposit of deleterious
7 substance. And that's about all I can say at this
8 point. Thank you.

9 CHAIRPERSON GRAHAM: Ms. Bull, you
10 had one further question, I believe.

11 MS. BULL: Thank you.

12 We know Environment Canada deals
13 with section 36 aspects and deleterious substances.
14 Thermal plumes, even if they're not found to be
15 deleterious, can still alter fish habitat and I'm
16 wondering how DFO's accounted for that under
17 section 35?

18 CHAIRPERSON GRAHAM: Mr. Hoggarth?

19 MR. HOGGARTH: Tom Hoggarth for
20 the record.

21 When we -- when we looked at it,
22 our -- in our opinion, if the -- the temperature
23 change was not deleterious and, therefore, didn't
24 have a deleterious effect on it, we were not making
25 the decision that there was a section 35 impact to

1 it.

2 So as we did talk, with the
3 diffusers, the -- the concern that we would have is
4 not in the -- the mixing zone area, but is the
5 potential impact that the upwellings would have on
6 larval drift and -- and we still need to look at
7 that, but we -- for us, that would -- that would be
8 a section 32 issue.

9 And just further again, if -- if
10 it is a deleterious substance or has a deleterious
11 effect, Fisheries and Oceans cannot issue a section
12 35 authorization for it.

13 So just again, just as a summary,
14 when we're -- when we're going to be issuing our
15 authorizations -- and this is just for this project
16 -- we envision potentially four -- I think it's
17 four authorizations.

18 And one will be for the infill, so
19 when -- if this hearing goes forward and says that
20 there's a -- you know, the project can proceed,
21 they'll go to CNSC for a licence to prepare site.

22 At that time, they'll also come to
23 DFO and say, "Okay, we need an authorization for
24 the infill." We'll be working with them through
25 the detailed engineering design on what that infill

1 will actually look like in detail and then design
2 an authorization around that.

3 We will also then -- that's the
4 first authorization we'll be providing.

5 The next authorization that we'll
6 be providing will either be for the intake or the
7 diffuser structures and whether they're separate
8 authorizations or one will just depend on the
9 construction timing and that kind of stuff.

10 But we will not be in a position
11 to issue a section 35 authorization for the
12 diffuser until we get concurrence from Environment
13 Canada that there will not be the release of a
14 deleterious substance.

15 So we will not be giving a section
16 35 authorization for the works that are required
17 around the diffuser until we're confident that
18 there's not going to be a deleterious substance
19 issue.

20 So those -- so one for the infill,
21 one for the diffuser, one for the intake, and
22 that's the footprint of the intake, and then the
23 next authorization that will be given is for the
24 operation of the facility, and that's the section
25 32 authorization around -- for the mortality of

1 fish.

2 And then that authorization as
3 well, through the detailed design stage, will --
4 will speak to the issue -- the things that we put
5 in there, whether we are demanding at that point in
6 time that acoustics are actually required, and if
7 we're saying acoustics are not required, we'll be
8 setting, within that authorization, levels that
9 will say, okay, if this is met, you will now do
10 acoustics.

11 If this situation comes across,
12 you -- you know, other options are potentially, you
13 know, rotating screens with a fish return system.

14 So we can put within our Section
15 32 authorizations conditions upon once they are
16 met, you must proceed with other options. So
17 that's -- that's how we see or that's how we'll be
18 moving forward with our authorizations.

19 But back to the question, we
20 cannot give an authorization, section 35,
21 destruction of fish habitat, if there's a
22 deleterious effect from the plume.

23 CHAIRPERSON GRAHAM: Thank you
24 very much.

25 MS. BULL: If I may, sir -- Mr.

1 Chair, my question was where if, theoretically,
2 there's no deleterious effect, there could still be
3 impacts on fish habitat, and I'm wondering if DFO
4 has accounted for that.

5 And it sounds like from the answer
6 that DFO is using the deleterious substance test,
7 which is for section 36(3), to determine whether
8 there's an effect under 35, and I wonder if there's
9 a source for that?

10 MR. HOGGARTH: Tom Hoggarth, for
11 the record.

12 No, I don't know if that's correct
13 in what you're saying. We're basically -- again,
14 as I said, we don't have the ability to authorize
15 the destruction of fish habitat because of a
16 deleterious substance, so that we're not doing.

17 When we've done our review, we
18 don't consider the diffuser having impact on
19 habitat from the turbulence, and as well, we
20 wouldn't consider it an impact on habitat, again,
21 providing that it's not deleterious.

22 CHAIRPERSON GRAHAM: Thank you
23 very much, Ms. Bull.

24 MR. LEONARDELLI: Mr. Graham, if I
25 may, just one further clarification.

1 CHAIRPERSON GRAHAM: Okay, if that
2 will help.

3 MR. LEONARDELLI: Sorry, Sandro
4 Leonardelli for the record.

5 The use of the term deleterious
6 substance versus deleterious effect, just to
7 clarify, you know, in doing the environmental
8 assessment work, I'm thinking -- specifically me,
9 I'm thinking in terms of deleterious effects
10 because we're advising on whether there's an
11 adverse effect associated with the diffuser.

12 When we talk about, you know,
13 regulatory certainty or does it meet the *Fisheries*
14 *Act*, then it's people like -- like Nadia and Doug
15 who -- they'll be thinking in terms of deleterious
16 substance. So if I've used the terms
17 interchangeably, it's because of that.

18 CHAIRPERSON GRAHAM: Thank you.

19 The next intervenor is Mr.
20 Kalevar, and I hope, Mr. Kalevar, your questions
21 are around the topics being discussed here this
22 afternoon. Mr. Kalevar.

23 MR. KALEVAR: Mr. Chairman, but
24 the question was answered already. Thank you.

25 CHAIRPERSON GRAHAM: Thank you

1 very much. Then it's Karen Buck.

2 MS. BUCK: In my statement to you,
3 I said that I was concerned that this was generic,
4 and now after hearing the back and forth between
5 OPG, Environment Canada, DFO, and the CNSC, I am
6 asking the question, how are you actually going to
7 make a decision satisfying the requirements of
8 regulatory certainty that we've been talking about
9 trying to achieve to move forward and actually
10 approve a generic scenario? And I guess this is to
11 the panel and to --

12 CHAIRPERSON GRAHAM: It's to the
13 Chair, and the Chair will direct it to Environment
14 Canada, please.

15 MR. LEONARDELLI: Sandro
16 Leonardelli, for the record.

17 So I just want to make sure I
18 understood the question. You're asking how we can
19 assess regulatory certainty at this point in time
20 with the details that are before us; is that
21 correct?

22 MS. BUCK: Right. And come to the
23 conclusion at the end of this process that there
24 will be approval of moving forward with a project,
25 an unknown generic project.

1 MR. LEONARDELLI: First of all, I
2 would -- Sandro Leonardelli for the record.

3 First of all, I would answer that
4 it's not Environment Canada that decides whether
5 this project proceeds. We don't grant an approval
6 on this. Our purpose in the hearings is to provide
7 technical advice to the -- to the responsible
8 authorities and -- and the panel. So that's --
9 that's the basis of the advice that we're giving.

10 In terms of regulatory certainty,
11 it's not something that has to be determined right
12 now at this particular stage in the project.

13 But what we did say in our
14 submission is that taking a precautionary approach
15 and assuming that round whitefish habitat exists in
16 the area and based on the thermal plume modeling
17 results that we have before us, that we would
18 anticipate that there would be a likely effect -- a
19 deleterious effect within the mixing zone.

20 So we have stated that. We've --
21 we -- I -- you know, it's, in essence -- so it's,
22 in essence, a worst case scenario of we are
23 predicting an impact within the mixing zone. So in
24 that sense, we -- we're on the record as to what
25 the potential effect could be based on the

1 information that's before us.

2 CHAIRPERSON GRAHAM: Yes. And
3 after the panel receives all the information, then
4 it's up to the panel to make the decision. As an
5 example, Environment Canada and Fisheries and
6 Oceans were here the first week. We brought them
7 back today for more information, and it's an
8 ongoing process.

9 We haven't made a decision. We
10 have to gather all the facts, and that's what we're
11 trying to do through these in a public forum.
12 We're working towards that. So that's -- it -- the
13 decision is going to be up to the panel.

14 MS. BUCK: I just have one quick
15 final question to the panel, and that is, how many
16 huge projects like this go through and are approved
17 on a generic EA process, and is this a first or are
18 there precedents of this happening before?

19 CHAIRPERSON GRAHAM: I can't
20 answer that because I've -- this is the first panel
21 I've been on, but I -- I can't answer that question
22 at this time.

23 MS. BUCK: And so is that an
24 undertaking or not?

25 CHAIRPERSON GRAHAM: No, it isn't.

1 MS. BUCK: Okay.

2 CHAIRPERSON GRAHAM: The next
3 question is David Done. Mr. Done.

4 MR. DONE: It's David Done, not
5 Done.

6 CHAIRPERSON GRAHAM: I am sorry.
7 Done, I'm sorry.

8 MR. DONE. That's all right. I
9 had a question, and it's really -- really my own
10 ignorance, but the circulating lake water system
11 for dissipating the excess heat has nothing -- I'm
12 assuming has nothing to do with the moderator heavy
13 water system that is regulating the pile? Is that
14 right? Am I right in that? Or is -- you know,
15 assuming a CANDU scenario, but --

16 CHAIRPERSON GRAHAM: I think I'll
17 go to Environment Canada.

18 MR. LEONARDELLI: Sandro
19 Leonardelli for the record.

20 Strictly speaking, OPG could
21 answer this but --

22 CHAIRPERSON GRAHAM: Well, if you
23 want, they can.

24 MR. LEONARDELLI: -- it's the --
25 it's the cooling water circuit, so it's -- this is

1 the condenser cooling water. It's not the primary
2 cooling circuit, which I believe is what you're
3 referring to, and I'd ask OPG to confirm.

4 MR. SWEETNAM: Albert Sweetnam for
5 the record.

6 That's correct. The two systems
7 are entirely separate.

8 MR. DONE: Very -- very good.
9 Thank you very much.

10 CHAIRPERSON GRAHAM: Thank you,
11 sir. And with that, that concludes the
12 information.

13 Mr. Pereira, you have nothing
14 else? Madame Beaudet?

15 So with that, we will, first of
16 all, thank Mr. Dobos and Mr. Hoggarth for coming
17 today with your teams to try and clarify some of
18 the information, and we may be back in touch with
19 you again. Anyway, thank you very much for coming
20 and also having -- thank you for having your teams
21 on telephone conference also.

22 MR. HOGGARTH: Thank you, Mr.
23 Chair.

24 MR. DOBOS: Thank you.

25 CHAIRPERSON GRAHAM: Now, the last

1 bit of -- on the agenda today is an intervention by
2 Kathleen Chung under PMD 11-P1.220 and I'd ask --
3 as soon as the floor gets -- as soon as the table
4 gets cleared, Ms. Chung, we will entertain your
5 intervention.

6 Maybe someone could get a fresh
7 bottle of water for Ms. Chung also.

8 MS. CHUNG: I don't drink bottled
9 water.

10 CHAIRPERSON GRAHAM: Okay.

11 --- PRESENTATION BY MS. CHUNG:

12 MS. CHUNG: I'm speaking on behalf
13 of my four grandchildren who live and go to school
14 within range of Pickering and Darlington. One
15 attends school within site of the Pickering
16 reactor.

17 Also I am a member of the Canadian
18 Voice of Women for Peace, the Older Women's
19 Network, Canadian Unitarians for Social Justice and
20 the Green Team of my local church.

21 There is a Haida proverb that
22 says, "We do not inherit the earth from our
23 ancestors. We borrow it from our children."

24 This hearing is about future
25 generations, it's not about us. We're saddling

1 those generations with a poisonous legacy. Not one
2 I want to leave for my grandchildren and their
3 grandchildren.

4 So what kind of future are we
5 going to create with the resources we have? What's
6 holding Ontario back from developing renewable
7 energy resources instead of nuclear? I say it's
8 the Old Boys' Network, which controls the power
9 industry and the construction industry and it's
10 lack of vision.

11 The Government of Ontario must
12 rise above of these. The Government of Ontario
13 must lead. Right now the people are far ahead of
14 the government in seeing the urgency of the problem
15 and our need to development renewable power sources
16 and to conserve energy.

17 Do we concerned citizens really
18 need to remind you again and again of the cost
19 overruns, the danger to the environment and to
20 people and the total lack of any way to safely deal
21 with nuclear waste? Not one country in the world
22 has found a way to deal with it and you know what's
23 happening in Japan. Just think about Fukushima.

24 In 1997 Ontario Hydro admitted
25 that it had failed to report tritium contamination

1 of the groundwater on the Pickering site for the
2 last 20 years and the leaks have continued with
3 another within the last two weeks.

4 Do we need to again mention the
5 radioactive sludge dumped into the oceans or that
6 Ontario Hydro has dumped tons of copper, zinc and
7 other metals from Pickering into Lake Ontario?

8 Why do we have to remind you yet
9 again about the millions of tons of radioactive
10 tailings left behind from mining uranium ore.
11 These residues contain 85 percent of the
12 radioactivity that was present in the original ore.
13 They will remain dangerously radioactive for
14 hundreds of thousands of years.

15 Radioactive radium, polonium and
16 lead are seeping into the surface waters and
17 contaminating groundwater.

18 For years I worked within sight of
19 the Pickering Nuclear Plant and then I had my
20 throat slit. Yes, to remove most of my thyroid and
21 there has been no research about the effects of
22 living and/or working or going to school near a
23 nuclear power.

24 I wonder how many of you saw the
25 film the *China Syndrome*? It was based on the Three

1 Mile Island near meltdown. A nuclear engineer at
2 the Pickering Plant who saw the film remarked that
3 everything in that film was applicable to Pickering
4 except for the misplacement of one fire
5 extinguisher.

6 Yet the politicians of the Town of
7 Pickering are so concerned about real estate prices
8 perhaps dropping, that they refuse to install
9 warning sirens in residential neighbourhoods that
10 might save lives if there was a more dangerous than
11 usual leak.

12 And the politicians in this area
13 insist that there be no cooling towers at
14 Darlington because they might remind people of the
15 danger of nuclear and would lower real estate
16 values here. That's all they care about is the
17 real estate values, not people's safety. Not about
18 children's future.

19 And never mind that this
20 radioactivity then might leak into Lake Ontario,
21 and I was very interested to hear the discussions
22 about fish habitat and about water temperature.

23 In fact, I was talking to an
24 engineer recently who told me that the water
25 temperature in Lake Ontario is rising and what's

1 happening is the upper layer of warmer water is
2 increasing in size and the lower layer of cool
3 water is decreasing in size.

4 So if you're spilling the warm
5 water out further into the lake, all you're doing
6 is destroying the lake further, increasing the
7 temperature. That's a deleterious effect.

8 If you think you can protect
9 yourself by taking Potassium Iodide pills when
10 disaster strikes, forget that. They're simply not
11 available to anyone in the general public who
12 doesn't live extremely near the nuclear plant, so
13 for example if you live in Pickering, just west of
14 Whites Road, you'll not be given them, so my
15 granddaughter can't get them unless she's at school
16 because she goes to school on the other side of
17 Whites Road.

18 The danger on Fukushima was
19 declared by the Japanese Government to be 30
20 kilometres, but the U.S. Government advised all
21 their citizens who were in Japan to evacuate to
22 beyond 80 kilometres. Have you checked the map
23 lately to see how far you would have to go to get
24 just 30 kilometres from Pickering or Darlington,
25 never mind 80 kilometres?

1 I've been informed in writing by
2 this Panel that the Joint Review Panel for the
3 Darlington New Nuclear Power Plant Project has
4 determined that the Ontario Power Generation's
5 Environmental Impact Statement and the information
6 in support of the application for a license to
7 prepare a site, along with the additional
8 information that has been provided in response to
9 questions from the Panel sufficiently responds to
10 the Environmental Impact Statement Guidelines.

11 Does this mean that there will be
12 no proper environmental assessment done? If that's
13 the case, it's a dereliction of duty.

14 With the Fukushima disaster
15 unfolding before your eyes, how can you be so
16 complacent?

17 If renewables will cost us only
18 half what nuclear will, why the push for nuclear?
19 Maybe the Old Boys' Network?

20 Long-range transmission lines are
21 wasteful of energy, both in terms of construction,
22 never mind the use of land. And in terms of the
23 loss of efficiency over long distances, but small
24 local wind farms and solar and other renewables can
25 keep cost and energy losses both to a minimum.

1 Co-generation and other green
2 technology is the way of the future. Nuclear is
3 old technology. We have the technology and we have
4 built examples right here in the Toronto area to
5 make all new buildings, including high rises off
6 grid. You can have methane recovery systems. And
7 there is actually a building in Mississauga with a
8 methane recovery system.

9 And I've heard that windmills in
10 the vicinity of Fukushima have survived the
11 earthquake and the tsunami just fine and continue
12 to produce power, but we don't want to put wind
13 turbines in Lake Ontario because it might spoil our
14 view. We would rather live next to a nuclear
15 plant. Explain that?

16 Nuclear power is non-renewable.
17 Global resources of extractable uranium will be
18 depleted within the next 40 years, even if the
19 number of nuclear power plants is not increased.

20 Think about what all this means
21 for our grandchildren, for your own children and
22 grandchildren. I urge you, do not extend the life
23 of the Darlington Power Plant and do not build
24 anymore nuclear reactors.

25 For the sake of all of our

1 very intimidating and I keep having the fear that
2 the answer has already been decided, that it's
3 going up no matter what we say, but I'm not going
4 down without a fight.

5 CHAIRPERSON GRAHAM: Appreciate
6 that, and the answer is -- nothing has been
7 decided, and I can assure you that.

8 So Madame Beaudet.

9 --- QUESTIONS BY THE PANEL:

10 MEMBER BEAUDET: Thank you, Mr.
11 Chairman.

12 Thank you for your colourful
13 presentation and your passion to defend your
14 concerns.

15 There's one point I would like to
16 cover with you, it's about our duty to make sure
17 that OPG has filed an EIS, and they did, and we did
18 send over 200 questions to try to complete that
19 information, and when you received that letter it
20 was to advise people that we felt we had enough
21 information to go on to the next phase of the
22 evaluation, which is the public hearing.

23 We wanted to hear from different
24 ministries, ordinary people, environmental groups,
25 from everybody, which is what we're doing now.

1 This statement, when you talk
2 about health where you say that Ontario Hydro
3 revealed that it had failed to report tritium
4 contamination of ground water on the Pickering site
5 for the last 20 years.

6 Can you give us a little bit more
7 details where you say that, what happened exactly?

8 MS. CHUNG: That came from an OPA
9 -- OPA data, but I can't remember now because I
10 read that about three years ago. So I can't tell
11 you the exact source, but it did come from OPA.

12 MEMBER BEAUDET: Can we hear from
13 OPG about this statement please?

14 MS. SWAMI: Laurie Swami, for the
15 record.

16 There is a -- was a tritium in
17 groundwater contamination issue at the Pickering
18 site. I believe that we reported it in and around
19 1996, '97, I can't -- I'm going by memory. And
20 we've reported that and we worked under a
21 director's order from the Ministry of Environment
22 to assess the risk associated with that, and we
23 continued to work with them on what needed to be
24 done to address that situation.

25 MEMBER BEAUDET: Did you have

1 monitoring at that time at Pickering? I mean, how
2 has it progressed it now, what you're doing
3 compared to what was happening at the time?

4 MS. SWAMI: Laurie Swami, for the
5 record.

6 At the time we installed an
7 extensive monitoring network for groundwater
8 sampling around the site, and perhaps I'll ask Jane
9 Borrromeo if she has the exact -- oh, she left. I'm
10 sorry. We have the exact number.

11 It's in the range of 200 sampling
12 locations at the Pickering site where we monitor
13 for groundwater tritium concentration on a regular
14 basis, and we report that information at this
15 point.

16 MEMBER BEAUDET: And you report to
17 CNSC?

18 MS. SWAMI: Yes, it's reported
19 through the CNSC and at this time we're seeing a
20 drop in the tritium concentrations at -- in the
21 groundwater at Pickering.

22 MEMBER BEAUDET: Thank you. Thank
23 you, Mr. Chairman.

24 CHAIRPERSON GRAHAM: Thank you,
25 Madame Beaudet.

1 Mr. Pereira.

2 MEMBER PEREIRA: Thank you, Mr.
3 Chairman.

4 Thank you for your presentation.
5 I'll go to CNSC and ask about health studies and
6 the studies that have been done in the vicinity of
7 nuclear generating stations, and among workers at
8 nuclear generating stations, and you -- I think --
9 I believe you reported this to us before, but just
10 -- just for the sake of this particular audience
11 now, could you go over what the findings are?

12 MR. HOWDEN: Thank you. Barclay
13 Howden speaking.

14 This is summarized in our
15 Undertaking No. 30 that has been provided to the
16 panel, but the -- the high-level summary is that
17 we've had, during this panel hearing, about five
18 undertakings on health studies or health effects,
19 and there's quite a few that are outlined.

20 There's also the 1997 Durham
21 Health Study that was included, that was reported
22 by the medical officer of health when he was here
23 earlier, showing that there was no -- they couldn't
24 see any evidence that the plants were having impact
25 on the -- the local population. As well, there's

1 broader health studies that were indicating the
2 same things.

3 There was also discussion about
4 low doses and studies on that. And I think one of
5 the things we tried to clarify was that the low
6 dose studies are talking about doses in the range
7 of 100 to 500 millisievert doses, and they're not
8 -- have not been able to demonstrate effects below
9 100 millisieverts, and we've shown that the public
10 dose limit is one millisievert, and that the
11 predicted doses to the local population is .005
12 millisieverts.

13 So that has -- the basis for our
14 conclusion that we don't think that there will be
15 health effects from the operation of this facility.

16 The other thing is, is the health
17 studies that have been done, also feed in to the
18 international work by the International Commission
19 on Radiological Protection, which makes
20 recommendations on dose limits. And the CNSC has
21 adopted the dose limits recommended by the ICRP.
22 Thank you.

23 CHAIRPERSON GRAHAM: Thank you
24 very much.

25 MEMBER PEREIRA: Thank you, Mr.

1 Chairman.

2 MS. CHUNG: Have there been any
3 longitudinal studies over a large -- you know, a
4 length of time, of many years, have there been
5 studies done of children who've grown up in the
6 area?

7 Have there been studies comparing
8 people who live in the area and based on their
9 distance from the plant, and people who work in the
10 area, similarly based, and then people who both
11 live and work in the area.

12 You know, speaking as someone
13 who's done research, I think it's really important
14 to have very thorough research done and not just
15 say, oh, well, we've studied, you know, people last
16 year that lived in the area, because these things
17 take place over a long period of time, and they
18 affect children much more than they affect adults.

19 So I have a lot of concern about
20 the children, who, for example, including my
21 grandchildren, who go to the park down at the
22 bottom of Liverpool Road, right next to the nuclear
23 plant.

24 CHAIRPERSON GRAHAM: Well, try and
25 get you answer. You've asked the question, Ms.

1 Chung.

2 So Mr. Howden, can you respond
3 please?

4 MR. HOWDEN: Barclay Howden.

5 Dr. Thompson isn't here to speak
6 to the specifics, but I suggest that we provide the
7 undertaking to the intervenor so at least she can
8 review it and maybe she'll have questions for Dr.
9 Thompson, she'll be back tomorrow, Mr. Chair.

10 MS. CHUNG: And you'll provide it
11 to the panel as well?

12 CHAIRPERSON GRAHAM: Definitely,
13 all -- all interventions come to the panel, and we
14 disburse them after that. And I think there are a
15 couple of other interventions that are covering
16 some of these that were asked by other intervenors
17 over the last couple of weeks, or last week
18 especially, along very similar lines, but we have
19 on the record Madam Chung's intervention with
20 regard to the studies she'd like, and -- and if
21 they're not already provided or not already going
22 to be provided, if she would look at any additional
23 ones.

24 Tomorrow maybe Dr. Thompson can --
25 is she back tomorrow, Dr. Thompson?

1 MR. HOWDEN: Barclay Howden.

2 Yes, she is. All of the questions
3 that were raised in the other interventions about
4 the other health studies that they brought up have
5 been all included.

6 And also the intervention is
7 posted now with the -- on the Canadian
8 Environmental Assessment Agency's website, but
9 rather than the intervenor having to chase that,
10 we'll hand over a copy now so you don't have to
11 look for it.

12 CHAIRPERSON GRAHAM: Yes, that's
13 what I was referring to, and my understanding is
14 now I have it, it was intervention number 30,
15 provide a list of all health studies that have been
16 conducted in nuclear communities, and the main
17 findings. Provide details of the methodologies.
18 And that has already been provided, and it's on the
19 CERA website, number 847 and 848, if you want to
20 just make note of that.

21 And if that's not sufficient, then
22 -- but our Secretarial staff will help you at the
23 back and give you that information before you
24 leave. So hopefully you'll get the right numbers.

25 And CNSC said they would provide

1 further ones. Do I give another -- CNSC are going
2 to provide you with a copy from Dr. Thompson along
3 those lines. So the Secretariat probably doesn't
4 have to give you that because that's coming
5 tomorrow, but they will give you those two
6 reference numbers.

7 Any other questions? Mr. Pereira,
8 do you have any questions?

9 MEMBER PEREIRA: No, not from me,
10 thank you.

11 CHAIRPERSON GRAHAM: You're
12 finished, and Madam Beaudet is finished.

13 Now, we will go to -- from the
14 floor and I'll go to OPG first, Mr. Sweetnam?

15 MR. SWEETNAM: Albert Sweetnam,
16 for the record.

17 If the chair will allow, perhaps
18 we could assist in providing the information that
19 was requested by the intervenor?

20 CHAIRPERSON GRAHAM: Certainly.

21 MS. SWAMI: Laurie Swami, for the
22 record.

23 Mr. Howden referred to a 1997
24 study completed by Durham Region. I would like to
25 let the intervenor know that there was a second

1 study that was completed as a follow-up to the
2 first one. There was one in 1997; there was another
3 one completed in 2007.

4 And if you look into the details,
5 and I don't have the full report with me, it
6 discusses childhood leukemia and other types of
7 hereditary -- or sorry, events that could occur if
8 there was a radiation effect and that's discussed
9 in this report. This report finds that there is no
10 link between the operation of the nuclear
11 facilities in Durham and the health effects in the
12 community.

13 It looks at a control study that
14 was -- a control case versus the Pickering-
15 Clarington area as their comparator. So it's a
16 fairly good study. It's not the level of detail
17 that the CNSC will be providing, but it certainly
18 does discuss children as well as females versus
19 males.

20 So you may find that study of
21 particular interest. And it's available on the
22 Durham Region website.

23 CHAIRPERSON GRAHAM: Thank you.

24 CNSC, do you have any further
25 questions or comments?

1 MR. HOWDEN: Barclay Howden. No,
2 thank you.

3 CHAIRPERSON GRAHAM: Government
4 agencies? I guess maybe they've all left. If not,
5 that's the case then, and we will go to
6 intervenors' questions and we only have one and
7 that's Mr. Kalevar

8 --- QUESTIONS BY THE PUBLIC:

9 MR. KALEVAR: Thank you, Mr.
10 Chairman. Chailanya Kalevar from Just One World.

11 You are a local resident. So I'm
12 very interested in knowing since -- if anything
13 like what is happening in Fukushima happens here --

14 CHAIRPERSON GRAHAM: Mr. Kalevar,
15 it's up here, the Chair you address.

16 MR. KALEVAR: Yeah, yeah. Through
17 the chair, of course, all the time through the
18 Chair.

19 If anything like Fukushima happens
20 around here, all of us will be vacating, but the
21 emergency personnel of police and fire will be
22 going the other direction.

23 I would like to know if you have
24 had conversations with the local police,
25 firefighters or ambulance people and what your

1 experience with that is?

2 CHAIRPERSON GRAHAM: You're asking
3 the Chair what experience -- so I'll refer that --
4 no, no, I'll decide Mr. Kalevar, and we'll decide
5 which way it goes.

6 I will go to the intervenor first
7 and then I'll ask for clarification from OPG.

8 So Madam Chung?

9 MS. CHUNG: Actually I did have
10 some experience because I used to work in Durham
11 Region and I worked in Social Services. And we
12 were declared to be the emergency personnel who
13 would handle all the refugees who would come from
14 Pickering who were going to be taken to Whitby for
15 a shower, like Iroquois Park. I mean, this is what
16 the plan was.

17 And we went to training at the
18 police station in Whitby and we were told how, you
19 know, this was the plan and that was the plan, and
20 I put up my hand and said, what about the school
21 children? Oh, we forgot about them. I guess we'll
22 send them home. Pickering is blowing up and you're
23 sending the kids home? The mothers are all at
24 work. Oh, well, maybe we'll bus them.

25 But of course, nobody's stopping

1 to think that the buses are triple used in Durham.
2 They at least run -- have three runs. The schools
3 all start at different times. So like I have
4 grandchildren that start school at five to 8:00 in
5 the morning and then other children start at 8:30
6 and others start at 9:00, and the same bus is
7 taking -- going out and doing another run.

8 So if you've got Pickering or
9 Darlington blowing up, how are you going to get all
10 the kids evacuated? I don't know if they changed
11 the plan yet, but they sure hadn't then.

12 CHAIRPERSON GRAHAM: As I said, I
13 will go to OPG. I believe we had a very extensive
14 presentation on the first week from Emergency
15 Preparedness Ontario, but you might want to add to
16 that on what the plans and what is put in place for
17 any type of emergency in this region.

18 MR. PETERS: Thank you, Mr. Chair.
19 John Peters, for the record.

20 I think the best way to summarize
21 this up, I'll focus on the Board of Education in
22 Durham Region which is specifically got a role and
23 responsibility from the Durham Emergency Management
24 Organization to develop and maintain emergency
25 response planning for their schools.

1 And they have sister schools,
2 twinned with each of these schools as I understand
3 it, and there is a plan to work together to get
4 children moved collectively and safely from the
5 school where they might be at risk to the other
6 location.

7 And this applies whether there's a
8 train derailment or an accident on the 401 or
9 whatever emergency is required to respond to. And
10 it is no different in the case of a nuclear
11 facility. It's a well integrated piece of Durham
12 Region's emergency planning process.

13 CHAIRPERSON GRAHAM: Thank you
14 very much.

15 Well, Madam Chung, thank you very
16 much for coming. Thank you for lightening up our
17 afternoon.

18 MS. CHUNG: I'm hoping that I get
19 a copy of that emergency plan. It's not on the
20 website that I could find.

21 CHAIRPERSON GRAHAM: OPG?

22 MS. SWAMI: Laurie Swami, for the
23 record.

24 The emergency plan would be
25 available through Durham Region. They have a

1 complete communication protocol with the public and
2 they, I'm sure, would be happy to share that with
3 you. And if necessary, I'm sure OPG can help you
4 do that -- obtain that.

5 MS. CHUNG: Who do I call?

6 MS. SWAMI: Laurie Swami, for the
7 record.

8 Ivan Ciuciura is the commissioner
9 responsible for emergency planning in Durham
10 Region. I'm not sure of the spelling of his last
11 name. I think that Durham Region website would
12 certainly have the appropriate contacts for
13 emergency. I'm sorry.

14 MS. CHUNG: I couldn't find it
15 when I looked.

16 CHAIRPERSON GRAHAM: We'll try and
17 assist you and get you the information. With that,
18 I want to thank you very much for coming this
19 afternoon.

20 And I want to thank all the other
21 intervenors. I want to thank the -- everyone
22 participating today because it was a fulsome day
23 with regard to gathering information.

24 Tomorrow being Wednesday, we are
25 not sitting tomorrow morning. We're sitting

1 tomorrow afternoon and evening and -- you seem
2 happy about that.

3 So the Chair will resume at 1:30
4 tomorrow afternoon. Thank you very much and safe
5 travels everyone.

6 --- Upon adjourning at 4:57 p.m. /

7 L'audience est ajournée à 16h57

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

C E R T I F I C A T I O N

1

2

3 I, Alain H. Bureau a certified court reporter in
4 the Province of Ontario, hereby certify the
5 foregoing pages to be an accurate transcription of
6 my notes/records to the best of my skill and
7 ability, and I so swear.

8

9 Je, Alain H. Bureau, un sténographe officiel dans
10 la province de l'Ontario, certifie que les pages
11 ci-hautes sont une transcription conforme de mes
12 notes/enregistrements au meilleur de mes capacités,
13 et je le jure.

14

15

16



17 Alain H. Bureau

18

19

20

21

22

23

24